

00001

1 EXXON VALDEZ OIL SPILL
2 TRUSTEE COUNCIL
3 Public Meeting
4 Tuesday, December 11, 2001 - 10:00 a.m
5 441 West 5th Avenue, Suite 500
6 Anchorage, Alaska
7 TRUSTEE COUNCIL MEMBERS PRESENT:
8 U.S. DEPARTMENT OF AGRICULTURE, MR. DAVE GIBBONS
9 U.S. FOREST SERVICE (Chairman) Trustee Representative
10 U.S. DEPARTMENT OF COMMERCE, MR. JAMES W. BALSIGER
11 NMFS: Director, AK Region
12 STATE OF ALASKA - MR. CRAIG TILLERY
13 DEPARTMENT OF LAW: Trustee Representative
14 for the Attorney General
15 STATE OF ALASKA - DEPARTMENT MR. FRANK RUE
16 OF FISH AND GAME: Commissioner
17 U.S. DEPARTMENT OF INTERIOR: MS. DRUE PEARCE
18 Senior Advisor to the
19 Secretary for AK Affairs,
20 U.S. Department of Interior
21 STATE OF ALASKA - DEPARTMENT MS. MICHELE BROWN
22 OF ENVIRONMENTAL CONSERVATION: Commissioner
23 Proceedings electronically recorded, then transcribed by:
24 Computer Matrix Court Reporters, LLC, 3522 West 27th,
25 Anchorage, AK - 243-0668

00002

1 TRUSTEE COUNCIL STAFF PRESENT:

2 MS. MOLLY McCAMMON	Executive Director
3 MS. SANDRA SCHUBERT	Program Coordinator
4 DR. PHIL MUNDY	Science Coordinator
5 DR. BOB SPIES	Chief Scientist
6 MS. PAULA BANKS	Administrative Assistant
7 MS. DEBBIE HENNIGH	Special Staff Assistant
8 MS. DEDE BOHN	U.S. Geological Service
9 MR. KEN HOLBROOK	U.S. Forest Service
10 MR. STEVE SHUCK	U.S. Fish and Wildlife Svc.
11 MR. BILL HAUSER	ADF&G
12 MS. CAROL FRIES	ADNR
13 MR. ALEX SWIDERSKI	Department of Law
14 MR. BUD RICE	National Park Service
15 MR. BILL HINES	NOAA/NMFS
16 MR. GEOFF SHESTER	INTERN
17 MR. JIM BODKIN	USGS

00003

1	TABLE OF CONTENTS	
2	Call to Order	04
3	Approve Agenda	04
4	Approve Minutes of August 6, 2001	04
5	PAG Report - Chuck Meacham	05
6	Executive Directors Report	09
7	NOAA Budget Adjustment	20
8	Investments	20
9	PUBLIC COMMENT	
10	John French	37
11	Stacy Studebaker	41
12	Theresa Obermeyer	48
13	Chris Blackburn	51
14	Deferred Projects	52
15	Habitat	111
16	GEM	167
17	CIIMMS Briefing	198
18	Adjournment	217

00004

1 P R O C E E D I N G S

2 (On record 10:17 a.m.)

3 CHAIRMAN GIBBONS: Good morning. Let me call the
4 Trustee Council -- let me go on record and see who's in
5 attendance. Craig Tillery from the Department of Law.
6 Drue Pearce representing the Department of the Interior.
7 Lynn Kent, representing the Department of Environmental
8 Conservation. Jim Balsiger from NOAA, National Marine
9 Fishery Services. Frank Rue, Commissioner of Fish and Game
10 and myself, Dave Gibbons with the U.S. Forest Service. I
11 think the first order of business is the approval of the
12 agenda or any changes to the agenda. Anybody have any
13 changes? Do I hear a move to approve the agenda?

14 MR. TILLERY: I move we approve the agenda.

15 MR. BALSIGER: Second.

16 CHAIRMAN GIBBONS: Second. It's been moved and
17 seconded. Anybody against the agenda?

18 (No opposing responses)

19 CHAIRMAN GIBBONS: The next topic is the approval
20 of the meeting notes from the August 6th, 2001 meeting.
21 Anybody have any changes to the meeting notes or comments?
22 Hearing none, is there a motion to approve the meeting
23 notes from August 6th, 2001?

24 MR. RUE: So moved.

25 CHAIRMAN GIBBONS: Second?

00005

1 MS. KENT: Second.

2 CHAIRMAN GIBBONS: Moved and seconded. Anybody
3 opposed?

4 (No opposing responses)

5 CHAIRMAN GIBBONS: The meeting notes have been
6 approved. The first item on the agenda other than the
7 agenda meeting notes is the PAG report. Molly, do you want
8 to.....

9 MS. McCAMMON: That's Chuck Meacham, the Chair.

10 CHAIRMAN GIBBONS: Chuck. Come on up, Chuck.

11 MS. McCAMMON: And I think our mike for there is a
12 little -- is not quite working so you just have to speak up
13 a little bit.

14 MR. MEACHAM: Good morning. We had our PAG meeting
15 yesterday and the two areas of primary discussion revolved
16 around deferred projects and the GEM program. We also had
17 a couple of items that we covered including a presentation
18 by the Prince William Sound Science Center on herring and
19 marine mammals. We had a report on cooperative
20 opportunities between GEM and the Alaska marine
21 conservation organizations and we discussed future PAG
22 activities. With regard to deferred projects, the PAG in
23 general did agree with the staff analysis and
24 recommendations that were made. It looked like a lot of
25 effort went into there and the decisions looked like good

00006

1 decisions. We did note that there was approximately
2 \$273,000 unallocated at this point and you may wish to
3 reconsider a couple of good projects. But those were
4 designated as lower priority projects and two that were
5 identified, one was 2578, dealing with taxonomic and
6 geographic information for some Prince William Sound animal
7 species. The other one was 2659, having to do with
8 developing a couple of manuscripts on avian predation. But
9 again, those are lower priority projects and we don't have
10 any problem with the designation.

11 There is some concern over overdue reports. We
12 continue to be concerned about that. And those include
13 agency reports, there's quite a number that continue to be
14 overdue. And feel that reporting is a very important
15 element to this process and should be used in evaluating
16 future funding requests that come before you. There was
17 also some concern that the geographic area from Port Graham
18 along the outer coast to Resurrection Bay is an area that's
19 not receiving as much attention as some of the other areas
20 that are a little more accessible perhaps within Prince
21 William Sound. Kodiak and so forth. So just identify the
22 need to keep in mind that area along the outer coast.

23 With regard to our discussion on GEM, we focused on
24 chapter six within the latest volume and that deals with
25 public advice. We look primarily at the Public Advisory

00007

1 Committee, the PAC, which is an expanded form of our
2 existing public advisory group to include some scientist
3 interests. But we discussed its composition and how that
4 might best be accomplished. We had discussion about
5 designating seats to specific interests or just in general
6 seeing that certain interests were covered in the --
7 constituting this group. We did pass a resolution
8 requesting that the staff start to draft a chapter --
9 excuse me, a charter for this public advisory group and
10 then we'll try and deal with that over teleconference.

11 Okay, as I indicated, we did have a presentation on
12 herring and marine mammals. Very interesting, there was no
13 decision-making activities associated with that. Heard a
14 report again on collaborative opportunities with Alaska
15 marine conservation organizations and our thought was that
16 we needed to do the same sort of thing for other interest
17 groups such as fishing interest groups, commercial, sports,
18 subsistence. With regard to future PAG activities, in
19 January we will be involved with the annual workshop here
20 in Anchorage. In February we're anticipating a
21 teleconference with staff in terms of development of this
22 charter for the new Public Advisory Committee. We'll
23 probably shift our July meeting to June to link in with
24 some meetings that are taking place here in Anchorage by
25 the North Pacific Anadromous Fish Commission and others.

00008

1 Let's see, it's a research group, isn't it? And in August
2 we're anticipating a field trip and that would probably be
3 to Prince William Sound. We haven't identified specific
4 projects or community meeting events or anything of that
5 nature yet.

6 And I think that pretty well covers my PAG report.
7 We'll have a written version out before too long. This is
8 just based on my notes from yesterday's meeting.

9 CHAIRMAN GIBBONS: Any questions? Chuck.

10 MR. BALSIGER: What's the reference to the North
11 Pacific Anadromous Fish group again? I missed that.

12 MR. MEACHAM: Okay, it may have been an error but
13 there are a number of groups that are scheduled to meet
14 here in Anchorage in June and if our meeting could happen
15 on one side or the other of that we just thought it would
16 work out appropriately. And I think Molly has a
17 listing.....

18 MS. McCAMMON: This is the June 18th, 19th
19 symposium that's being planned that I'll report on.

20 MR. BALSIGER: Okay.

21 CHAIRMAN GIBBONS: Any other questions for Mr.
22 Meacham?

23 MR. MEACHAM: Thank you.

24 CHAIRMAN GIBBONS: Thanks, Chuck. Next item is the
25 Executive Director's report. Molly.

00009

1 MS. McCAMMON: Yeah, thanks. There's a couple of
2 things I wanted to call your attention to in your packet
3 today. Quarterly project status reports and quarterly
4 financial reports. And the quarterly project status report
5 goes through -- and this is actually what Chuck was
6 referring to in terms of the number of overdue reports.
7 Sandra Schubert is in charge of tracking this for the
8 office and it really is an inordinate amount of time
9 following up on this and ensuring that reports do get done
10 in a timely fashion. There's always reasons, and
11 legitimate reasons, why reports are often delayed, but
12 ensuring that we do get them. There are a number of
13 reports still from the early years, a lot of them NRDA
14 reports that we actually paid -- gave some funding to
15 agencies to redo and get them updated. They have not been
16 done. We're looking again at whether it's worthwhile to
17 continue this effort and keep them on our books, monitoring
18 them. Some of them we have been monitoring and saying
19 we're going to have them done now for over eight years.
20 It's, you know, a lot of this, especially some of the early
21 work, I think, is still really valuable information that we
22 want to make sure the data is captured and that we don't
23 lose that and that's one of the advantages of the reports
24 are capturing data.
25 So this was a concern of the PAG, we discussed it a

00010

1 little bit yesterday. It's difficult because in most cases
2 the original PIs have left the agency and so the agencies
3 have committed to doing those reports with existing staff
4 that are not being paid that already have full-time or
5 double-time jobs. So it's a difficult situation and we
6 don't have a whole lot of leverage unless we don't give
7 different agencies any money at all for other projects.
8 But I would ask for your commitment as trustees to try to
9 make an effort within your agencies to get these reports
10 updated.

11 I also wanted to -- we're under the process now of
12 our annual audit and all of your agencies' staff have been
13 meeting with our auditors, Elgee Rehfeld and Funk out of
14 Juneau, and at this point there seem to be no major issues
15 that they have observed or brought to our attention but we
16 will have that draft audit done in January. A couple
17 things we're working here, the annual workshop in January,
18 and you do have a draft agenda in your packet. This is a
19 little bit different than we've done in past years, it's
20 actually a loose series of four workshops, kind of under
21 the umbrella of our January EVOS workshop. The first half-
22 day is on lingering oil spill injury and this will be a
23 report from all of our PIs on where we are in terms of
24 lingering oil effects. The afternoon of the first day and
25 the second day is finding ways for regional science

00011

1 programs to work together, common interests and approaches
2 to problem solving. And this is a collaborative workshop
3 that we're doing with the Southeast Sustainable Salmon Fund
4 Initiative and they're bringing 30 to 40 individuals up
5 from Southeast and we're talking about issues that we have
6 in common. Southeast Alaska is the southern Gulf of
7 Alaska, they're actually upstream from us in terms of the
8 Alaska coastal current, we're downstream current-wise, even
9 though to the north of them. And we have a full agenda, a
10 day and a half agenda, of presentations and panel
11 discussions that I think will be really a good meeting.

12 Fish and Game is also committing some funds to
13 bringing in some individuals from Western Alaska because
14 they are not quite as far ahead as Southeast Alaska is in
15 terms of some of their planning efforts. But just bringing
16 them in to also get kind of a taste of what's going on in
17 terms of these regional programs.

18 Day three is focusing on the nearshore environment,
19 detecting and understanding changes, exploring options and
20 setting directions. We have a project underway now where
21 we have two PIs, Carl Schoch, the National Estuarine
22 Research Reserve System in Homer and Tom Dean, a private
23 consultant from California. We're putting together various
24 options for a nearshore monitoring program. Most of the
25 day will be devoted to presentations. We're now talking

00012

1 about adding a smaller workshop on day four for people who
2 want to specifically focus on the actual plan and have more
3 questions and more interaction on the plan. At the same
4 time on day four, we have an all day workshop on
5 watersheds, detecting and understanding marine terrestrial
6 linkages in watersheds. Half of the first morning,
7 presentations and panel discussions and then the afternoon
8 will be a planning meeting of a project that we're partners
9 in funding, a Kenai River nutrient study, which is kind of
10 a prototype of a watershed planning effort.

11 So it's a full agenda, we have the downstairs of
12 the Egan Center booked for the workshops. We're still
13 putting together keynote speakers. We'll have a revised
14 agenda on the Web and distributed probably in about a week.
15 So it's still kind of in flux as we get speakers confirmed.
16 We're also working collaboratively with a number of groups,
17 with the State of Alaska, with NOAA, with EPA, USGS,
18 Department of Interior and the Alaska Coastal Policy
19 Council for a statewide oceans and watershed symposium in
20 June of 2002. And that is scheduled tentatively for June
21 18th and 19th. The location hasn't been decided yet, it's
22 going out to bid, I think, this week. And that's a two day
23 meeting. We have an agenda that's been distributed, it's
24 still very much in draft but it includes a number of
25 invited talks that will actually go into a report to be

00013

1 published after this symposium and then a number of panels.
2 But the idea is to get policy makers, individuals, research
3 groups from statewide who are involved in marine oceans and
4 watershed issues and actually get them in one symposium for
5 a day and a half to two days.

6 As part of that effort, it's our goal, what we
7 would like to have is a signing of the memorandum of
8 agreement that you directed me to begin the process of
9 working on and developing last summer. And that agreement
10 would be a cooperative agreement among at least the EVOS
11 Trustee Council, the North Pacific Research Board,
12 potentially the Northern Fund, the University of Alaska and
13 other partners as an effort to start collaborating to a
14 greater extent with developing research priorities,
15 research planning efforts, data sharing, sharing of
16 resources and really trying to have a much more coordinated
17 effort in terms of addressing a lot of the issues facing
18 Alaska's oceans and watersheds. That MOA is in draft, it's
19 been circulated to a fairly small group. It's getting
20 wider circulation now. I have heard nothing but positive
21 response to it. There's been a little bit of tweaking of
22 language but overall I think almost everyone I've talked to
23 is very excited.

24 Kevin Duffy with Fish and Game was supposed to be
25 meeting with Northern Fund about a week ago to talk to them

00014

1 about it. That is the only group that's bilateral and so I
2 don't know what difficulties that might pose. It's not a
3 treaty so hopefully the State Department wouldn't get
4 involved in any way but we'll see how that goes and whether
5 it's possible to get the Northern Fund completely put in.
6 But the goal, kind of our target date, is this symposium
7 for getting that MOA completed. So that is definitely
8 underway and lots of activity on that.

9 The other thing we've been working on is the GEM
10 report and the last time we were here in August we talked
11 about the report to Congress. That was completed through
12 the good graces of Drue Pearce's office in Washington D.C.,
13 we were able to deliver it to Congress, I think, at 5:00
14 p.m. on the last day possible. Much of that was due to the
15 fact that it was due September 30th and after September
16 11th things were pretty chaotic in Washington D.C. So the
17 fact that it did go through the Office of Management and
18 Budget review and all the Federal review process, really
19 we're very grateful to Drue's office for getting that
20 through. And it was received and I have heard nothing from
21 anyone on that report so it obviously had great impact.

22 MS. PEARCE: Their buildings immediately shut down
23 because of anthrax so.....

24 MS. McCAMMON: Exactly, so the reports.....

25 MS. PEARCE:it's probably stuck in the Hart

00015

1 building and nobody's ever seen it.

2 MS. McCAMMON: That's probably the case, yeah.

3 MR. RUE: I hope they don't send it back.

4 MS. McCAMMON: Yeah, don't send it back, it may
5 have some. We did submit our latest draft of the GEM
6 report to the National Research Council at the end of
7 August. They have had two meetings since that time. We've
8 had lengthy discussions with them on it. I think the
9 overall response has been very positive. Of course you get
10 15, 20 scientists in a room together and they're going to
11 pick at all kinds of little things. There's never
12 unanimous agreement in that sense. But I think on the big
13 issues there's overall support for it. The report is due
14 -- the unpublished report but the final report will be
15 delivered to us in April and then the actual published
16 report will be in June. But we will see the report in
17 April. For that reason we're doing our invitations for
18 proposals a little bit differently this year. We didn't
19 want to prejudge the report and put out our invitation
20 asking for proposals in February, which is our typical
21 schedule. And for that reason we're doing actually two
22 invitations this year. The first one would be under our
23 regular schedule, it would go out February 15th, proposals
24 due April 15th. And that will be for those kinds of
25 proposals that deal, address lingering oil injury, that

00016

1 address synthesis efforts, that are a continuation of
2 projects that we started either last year or this year.
3 Kind of part of the program that we know is going to go
4 forward or has a high likelihood of going forward next year
5 anyway. We would then wait until the report from the NRC
6 is reviewed, is received, the GEM program document is
7 revised and then do a second invitation, hopefully in
8 September -- it would go out in September which would be
9 for kind of the beginning of the GEM program.

10 Our other option was waiting until the following
11 year and we've been doing planning on this program for so
12 long that people are starting to wonder whether GEM will
13 actually exist or just be a continual planning process. So
14 we felt it was really important to get things underway in
15 the next fiscal year and for that reason we're going to
16 subject ourselves to having two invitations this coming
17 year. Yeah.

18 MR. TILLERY: Molly, do you get to interact with
19 NRC? Do you get a draft, have a little dialog before they
20 put the final report.....

21 MS. McCAMMON: We had two dialogues.

22 MR. RUE: Ongoing -- you won't get another shot?

23 MS. McCAMMON: Probably not unless there's a
24 question about something. Yeah.

25 MR. RUE: Okay.

00017

1 MS. McCAMMON: Yeah, probably not. Let's see, the
2 other thing we're working on right now is we are in the
3 process of hiring a data manager for our office. We
4 received over 80 applications. We did phone interviews
5 with seven people and we will be interviewing four of those
6 in the next two weeks. And so we do -- we just had a great
7 response to it and we hope to have someone hired within the
8 next few weeks. I also wanted to take this chance -- is
9 Geoff -- Geoff is here. We have had the pleasure this fall
10 of having an intern from the University of California at
11 Santa Cruz environmental studies program, Geoff Shester.
12 And he has been a really great help in the office and we've
13 been trying -- I mean, it's wonderful to have an intern who
14 starts in the fall and actually, you know, is in the winter
15 and isn't a, you know, one of those summer interns. And
16 Geoff will probably be extending and working with us a
17 couple more months this winter also and helping out with
18 the annual workshop in January. So it's been great having
19 him here.

20 The other thing I wanted to mention is that this is
21 our first meeting in our new facilities here and we do -- I
22 wanted to especially mention the conference room here
23 because we were touring the ARLIS library this morning and
24 there was mention about the ARLIS conference room and that
25 it is available to the founding agencies, which includes

00018

1 all of the Trustee members and the Public Advisory Group.
2 But this conference room is also available to Trustee
3 agencies and to the public upon request. So if you do have
4 meetings that you want to have here, just contact Brenda
5 Hall, our receptionist, and she has a schedule and it is
6 available for your use. We do consider this a service to
7 the Trustee agencies and to the public for use of the
8 conference room.

9 And one last item that I wanted to report on is
10 that I wanted to thank Carrie Holba this morning for giving
11 us a wonderful tour of the Alaska Resource Library
12 Information Service. And I also wanted to note that in
13 your binders you all should have received a copy of this
14 packet here which is a description of the awards for
15 museums and library service. This is the only national
16 award given for libraries in the entire country. There are
17 125,000 libraries and museums that are eligible for this
18 award and ARLIS was one of three national recipients this
19 year. And we are extremely proud. This is a very
20 prestigious award and we are extremely proud that they are
21 one of the winners this year. They have a really wonderful
22 little brochure describing ARLIS and Carrie got her picture
23 in the brochure, you know, in the award brochure, which is
24 wonderful.

25 The one unfortunate thing about the award is that

00019

1 there was supposed to be this great ceremony at the White
2 House on September 17th and the award was going to be
3 handed out by the First Lady, Laura Bush, and unfortunately
4 the timing was such that all travel was frozen, all events
5 were cancelled. And so they cancelled the awards ceremony
6 for this year, which is really too bad. Maybe they can
7 give it to you next year too. But they do have the award
8 in hand and it will be framed at ARLIS and I just wanted to
9 make special note of the effort that Carrie has done on
10 behalf of the Trustee Council and behalf of the ARLIS
11 staff. They really have done a wonderful job. So thank
12 you, Carrie.

13 I think that concludes my report. Everything else
14 just comes kind of in the agenda.

15 CHAIRMAN GIBBONS: Thank you, Molly. Any
16 questions? Jim.

17 MR. BALSIGER: One question, Molly, would you say
18 that -- which symposium were you hoping to have everyone
19 show up to sign the MOA?

20 MS. McCAMMON: The June symposium.

21 MR. BALSIGER: Do you think there's an opportunity
22 for groups like PICES to approve that on their side,
23 outside of their annual meeting cycles or.....

24 MS. McCAMMON: It should be if the Board could. I
25 mean, we are putting provisions in the draft for other

00020

1 entities to sign on to it. I think one of the major
2 questions that I think needs to be addressed is, when we
3 first started this it was the idea of entities that had --
4 research entities that had dedicated pots of money, if you
5 will, such as the EVOS Trustee Council, the Northern Fund,
6 North Pacific Research Board. And then there's been a lot
7 of discussion whether the members of those groups should
8 also sign on behalf of their agency as the agency itself.
9 For example, National Marine Fisheries Service, other
10 divisions of NOAA, so that they would also commit to
11 joining in this collaborative planning process, committing
12 to sharing of data. I don't know if that gets too
13 overwhelming and it kind of falls of its own accord or if
14 it would be better to keep it simpler, but we do have
15 provisions for adding other entities to it at any time.

16 CHAIRMAN GIBBONS: Any other questions?

17 (No audible response)

18 CHAIRMAN GIBBONS: Thank you, Molly. I think
19 you're on next with the investments.

20 MS. McCAMMON: Yeah, and I'm looking for our
21 November reports. Do we have those handed out?

22 CHAIRMAN GIBBONS: Yeah, they were.

23 MS. McCAMMON: Okay, how come I don't have mine?

24 CHAIRMAN GIBBONS: Oh, Molly, on the agenda here,
25 excuse me, there's a NOAA budget address.

00021

1 MS. McCAMMON: Oh, yes. A small little item here.
2 Okay, let's go back to the NOAA budget adjustment. This
3 was another little NOAA slip up in the past year just
4 because of some of the chaos in terms of the project
5 management and some personnel issues that NOAA had in the
6 past year. And basically one project was overspent in the
7 amount of \$28,000. And primary cause was an accounting
8 oversight related to the failure to reduce the project
9 budget following the approved agency transfer of \$23,000 to
10 the U.S. Forest Service for project support. And basically
11 they didn't catch the fact that those funds had been
12 transferred to the Forest Service and so they thought they
13 had the full amount and went ahead and spent it. What the
14 request is, to reprogram between FY01 project budgets,
15 which would reduce the project funding amounts. And they
16 have a schedule here and it's not a request for new money,
17 it would be just using some lapsed money from other
18 projects to cover that over-expenditure. If the amount had
19 been less than \$25,000, they wouldn't have had to come to
20 the Trustee Council but under our procedures, since it was
21 over 25,000, they have to come begging. Did you want to
22 add anything, Jim?

23 MR. BALSIGER: Sorry.

24 MS. McCAMMON: And I recommend that it be approved.

25 MR. RUE: You recommend that it be approved.

00022

1 MS. McCAMMON: I do.

2 MR. BALSIGER: I probably should add that in the
3 letter that I said that we have made some changes in the
4 accounting processes in the Trustees' account so it
5 probably won't happen again.

6 MR. RUE: Okay, do we need a motion or is there a
7 motion?

8 MS. McCAMMON: No, you need a motion.

9 CHAIRMAN GIBBONS: I think we need a motion to
10 approve the reprogramming.

11 MR. RUE: I move that we approve the reprogramming
12 requested by the National Marine Fisheries Service.

13 CHAIRMAN GIBBONS: Okay.

14 MR. TILLERY: Second.

15 CHAIRMAN GIBBONS: Second, okay. You have a motion
16 and second. All in favor say aye.

17 IN UNISON: Aye.

18 CHAIRMAN GIBBONS: Opposed?

19 (No opposing responses)

20 CHAIRMAN GIBBONS: Motion passes. Now, Molly, the
21 investments.

22 MS. McCAMMON: Yes, yes. I should mention, though,
23 that as part of -- under this transition to the GEM program
24 in the next year, that we are reviewing all of our
25 procedures and policies that are currently in place,

00023

1 including our procedures, our financial auditing
2 procedures, to see if there are things that may need to be
3 streamlined or improved or taken another look at. And so
4 we will be working with all of the Trustee agencies on that
5 review process and we may come back with some
6 recommendations for changes next summer.

7 So looking now at our investments, and we do have
8 John Jenks from the Department of Revenue online and also
9 Bob Storer from the Alaska Permanent Fund, who is a member
10 of our investment working group and one of our financial
11 advisors. We have very good news to report, that October
12 and November -- I didn't look today but -- I haven't looked
13 at December's but October and November were very good
14 months for our account. We're actually now only about 1.3
15 million or so less than what we started a year ago, which
16 is very good news compared to where we were a few months
17 ago. We've actually made up a lot of ground in the last
18 couple of months in terms of our investments. The other
19 good news is that, if you look at -- under November
20 investment reports there's a memo -- but if you look at the
21 second page there, I think what's really important to note,
22 on the column to the very far right, inception to date, the
23 EVOS investment fund, inception to date, has lost 3.69
24 percent. But our investment fund index, which are the
25 indexes that our funds track and follow and kind of check

00024

1 to see how we're doing, lost almost seven percent. And so
2 I think that is really good news, actually, that we're
3 doing much better than what everyone else is kind of out
4 there and what the current indexes are. So that means, I
5 think, that the investment, the active management done by
6 the Department of Revenue is doing much better. We also,
7 it turned out in September that our funds were really out
8 of balance because stocks had lost so much and we had to
9 rebalance. We waited until we received our payment from
10 Exxon and the timing was such that we had not rebalanced as
11 of September 11th, which was very good because we ended up
12 rebalancing after stocks took a really sharp dive. We were
13 really able to buy things at a very low cost and a lot of
14 the gains that we've actually seen in October or November
15 are a result of the fact we were able to buy so many
16 equities at a very low cost in late September. So the
17 timing was -- I'd like to say it was, you know, we just
18 knew this -- we were able to foresee things but it was just
19 luck and we were actually at an advantage that way.

20 We had some discussions last spring, especially
21 when it appeared that kind of the whole economy was
22 changing, about whether we should change our asset
23 allocation mix. And our investment work group spent a lot
24 of time meeting with the consultants, Callan and
25 Associates, and looking at all of the projections. We had

00025

1 a discussion with the Trustee Council at that time and the
2 decision was made basically to hold the course and continue
3 on with the current asset allocation. We'll be looking at
4 that again in the spring, it's part of our regular review
5 and discussion process. The other thing though that you do
6 have control over is the payout, the annual payout. And we
7 thought it was appropriate at this time to look at that
8 payout and look at some various options and see whether
9 that should be reviewed and possibly modified. And in your
10 packet you do have a copy of the payout resolution that was
11 adopted almost two years ago, about a year and a half ago.
12 At that time, the fiscal year 2002, which is the current
13 fiscal year, the annual Work Plan and administrative cost
14 shall not exceed six and a half million. 2003 and 2004,
15 their fixed cost not to exceed six million. Beginning in
16 fiscal year 2005, the annual Work Plan and administrative
17 costs shall not exceed four and a half percent of the
18 average market value over the past three years of the trust
19 fund. By 2005 the fund will be fully capitalized and we
20 will have a three year history of investments. In 2006 it
21 would be the average market value of the fund over the past
22 four years and beginning in 2007 and for the future years
23 it would be averaged out over five years. And the whole
24 idea of this approach was, first of all, to inflation proof
25 the fund. Secondly to allow for some modest growth, real

00026

1 growth of the fund over time. And thirdly, to allow for
2 kind of evening out the highs and lows of investment
3 earnings. We did not want to find ourselves in a situation
4 that the Science and Technology Foundation found itself in
5 this past year, which spends its annual earnings every
6 year. And when you make a lot of money, you can do a lot
7 of great things but if the next year you lose a lot of
8 money, you've maybe started commitments or started programs
9 that the next year you can't fund. We want to have fairly
10 level funding over time to even out some of those highs and
11 lows. This means that the years that our fund does really
12 well, we're not going to spend all the earnings but it
13 gives us the ability when the fund isn't doing as well in
14 some of the low years that we still have funds to do a very
15 meaningful program. So we did take a look at that and
16 under payout options you should have a handout given to you
17 called projected EVOS funds available using endowment
18 payout. And this was put together based on all of our cash
19 flow assumptions that we gave John Jenks and his staff.
20 And John, are you on the phone?

21 MR. JENKS: I am on the phone.

22 MS. McCAMMON: Okay, great. And what I'd like to
23 do is have John briefly go through this and then I would
24 also like to have Bob Storer give a few comments because
25 Bob in the Permanent Fund was certainly a real instigator

00027

1 in helping us set up kind of the system that we have now.

2 But do you want to describe this, John?

3 MR. JENKS: Certainly. Thanks, Molly. This
4 project started out I think because some people were
5 thinking, you know, the investment environment has been
6 very difficult and maybe the payout plan that was in place
7 was going to cause or expose your research program to a bit
8 of a shock. So we took the opportunity to sort of model a
9 little bit of the future, starting with what we knew about
10 at the beginning of November of this year. And what we
11 did, and you have the results in front of you, is we
12 assumed at base case, which is the returns that your
13 investment policy calls for, it's about 8.15 percent for
14 this year would be the expected return. And for all future
15 years we assumed 8.25, which was sort of consistent with
16 the five percent real return investment objective that had
17 been articulated by the Council. But we also wanted to say
18 what if things continue to stay bad and what if things
19 continue to be good and then take a look at what difference
20 would it make if you as a council changed your research
21 funding in FY03 and 04, where you have six million dollars
22 as a fixed funding target. And what would the results be
23 in FY05 when all of a sudden you sort of are living in a
24 new environment of this endowment payout percentage of
25 assets world. And so you have in front of you sort of --

00028

1 the results of this analysis presented the top two blocks
2 of numbers, the first one projected funds available for
3 budget, base case and right under where it says base case,
4 you know, it says five million dollars. These are the
5 results if you stepped down from five million and it shows
6 what funds would be available and also what the principal
7 balance would be for the research endowment.

8 I'd like to skip down to the next two blocks and
9 really talk about exactly how we did this and let you look
10 at the results. And I think everyone was pleasantly
11 surprised at what might happen. And I think the area to
12 focus on as a policy matter is the bottom quartile column.
13 And what we assumed that is that in the statistical sense
14 we can measure out how poor the returns would be if you had
15 a bottom quartile experience in FY03 and the same thing in
16 FY04. And the combined probability of that happening is
17 just a little over six percent. And when we combine that
18 with the probability that we would have experienced in the
19 last year what we experienced, it turns out that only in .2
20 percent -- not even a percent, that's .2 percent of the
21 cases would you ever experience those three years in a row
22 if these things are sort of statistically uncorrelated and
23 our estimates of risk are right and we think they're
24 reasonably good. So this bottom quartile really is the
25 worst case scenario and, you know, the base case is still

00029

1 very, very much achievable because we're basically saying
2 we're just going to achieve the expected median experience
3 going forward. And for that bottom quartile we did, for
4 FY03 and 04, assume these poor returns and then it reverted
5 to the mean after that, so it goes back to assuming, you
6 know, the average. We did the same thing on the top
7 quartile experience which is for 03 and 04, assume that you
8 would have sort of very good returns. The kind of returns
9 that in each year you could only expect to have one quarter
10 of the time and link those two sets of returns together.
11 And so you can see in this case that we're going to start
12 out with the base case. You start out and we assume that
13 you would have funding of six million withdrawn at the
14 beginning of each fiscal year to support your research
15 operation. And you can see what the transition in FY05
16 would be. You should expect to take something like 5.4
17 million dollars. And even in the worst case scenario, it's
18 4.6 million. And, you know, I think that people -- it was
19 certainly not an unrealistic expectation that, wow, that
20 could really maybe be a low number and really shock your
21 system and so we provided this analysis and I know the
22 working group chatted about it. You know, that's when the
23 working group talked about it and Molly can share the
24 results of that with you.
25 In the block below it you see what the endowment

00030

1 balance we would expect in each of these cases. And again,
2 even in the bottom quartile experience, you know, we're
3 still looking for an endowment of over 100 million dollars,
4 which would support basically just short of five million
5 dollars going forward but on a base case scenario we have
6 it growing basically with inflation and a little bit more
7 than inflation to 135 million dollars. The other thing you
8 might find interesting is if you compare say the FY03 base
9 case -- or FY05 base case under the top two blocks of
10 analysis where there's a five million dollar research
11 budget for the next two years and then compare what would
12 be available under the six million dollar budget, the one
13 you sort of have been planning. I think the thing that's
14 interesting is it makes almost no difference if you were to
15 -- as far as the amount of money that would be available.
16 And this analysis also takes out the habitat funds when
17 they're scheduled to be taken out so they're included in
18 the fund for earnings until they're withdrawn but they're
19 not included in this balance for the purpose of calculating
20 out how much would be available under the four and a half
21 percent, the moving average calculation. So we tried to
22 carefully incorporate all the cash flows, reasonable
23 investment assumptions about what could happen both on the
24 up side and the down side and give you a way to look at
25 what you may be facing in FY05.

00031

1 So if anyone has any questions at all about how we
2 did this or how at least we were thinking about
3 interpreting it, I would be glad to answer them.

4 CHAIRMAN GIBBONS: Doesn't look like there's any
5 questions. Molly.

6 MS. McCAMMON: I think there are just two things
7 that I wanted to know. I think the amounts in here are on
8 the conservative side because they do take into account our
9 cash flow needs but they assume that all of that cash is
10 spent immediately, which isn't the case. Typically it
11 stays in our funds earning interest as it's expended. It
12 also doesn't take into account the fact that we're
13 averaging somewhere between seven to 10 percent lapse of
14 every annual project's -- annual Work Plan's budgets. It
15 makes a lot of assumptions here that small parcels will all
16 be purchased and the funds will go out by next February,
17 which is definitely unrealistic. So I think for the most
18 part it's a conservative cash flow. What we're really
19 trying to see is, would it make a difference if, instead of
20 spending six million next year we only spent five million,
21 would that help us down the road and I think what this
22 clearly shows is that it's a pretty marginal improvement.
23 It really doesn't make that much of a difference. The only
24 way we could really improve things in FY05 would be if we
25 were to just totally shut down the office for the next two

00032

1 years and not fund anything, which I think is unrealistic.
2 And I think what kind of pleased us was that even the
3 bottom quartile, which is kind of -- we were viewing as the
4 worst case scenario, we were still looking at 4.6 million
5 dollars a year in FY05. So close to five million, which
6 you can still do a reasonable program at that level.
7 Obviously we'd rather be in the top quartile which is over
8 six million but even the very worst case scenario, it's
9 still not that bad. So I think the recommendation of the
10 investment work group was basically to continue with the
11 current payout scenarios and not make any change at this
12 time. And for FY03, continue with the six million dollar
13 year anticipated funding.

14 And I don't know, Bob Storer -- Bob, are you
15 online?

16 MR. STORER: I am here.

17 MS. McCAMMON: Yeah, do you want to comment? We
18 always appreciate your comments.

19 MR. STORER: Well, thank you. One, I believe that
20 a disciplined approach is the appropriate approach. You
21 have that with this methodology. I think your payouts are
22 realistic and they're designed to be able to make the
23 payouts in all types of markets. It's pretty easy to
24 extrapolate the present well into the future. It was
25 pretty easy to extrapolate untold riches in the bull market

00033

1 and it's pretty easy to extrapolate negative returns now.
2 That's why it's so important to build a disciplined
3 approach that is realistic for all types of markets and
4 you've done that. I think one of the things you've seen
5 here is that by using the moving average payout based on a
6 percentage of the fund over a five year period really
7 smooths the volatility in the payouts at the end. What's
8 important about that, you need to be able to budget in a
9 realistic fashion, moving forward and not get caught up in
10 the swings of a one year, two year bear market or bull
11 market and I think what we've seen here says you've
12 achieved those objectives. And I think the four and a half
13 percent is also a very realistic objective. So you've
14 started out by designing a payout methodology that many
15 would be envious of.

16 MR. RUE: I knew there was a reason we wanted to
17 have Bob speak to us.

18 MS. McCAMMON: We've got that on the record, too.

19 CHAIRMAN GIBBONS: Jim.

20 MR. BALSIGER: I have just a couple simple
21 questions, probably everyone else knows this -- just to
22 remind me. So these payouts now, does that include office
23 overhead and all that stuff or is this.....

24 MS. McCAMMON: Yes.

25 MR. BALSIGER:all going to projects?

00034

1 MS. McCAMMON: No. Everything.

2 MR. BALSIGER: So this is your total budget?

3 MS. McCAMMON: Yes.

4 MR. BALSIGER: Okay. And then on the.....

5 MS. McCAMMON: This year it's six and a half
6 million, so.....

7 MR. BALSIGER: And on the charts, of course, you
8 note that the jump up from August and September is due to
9 Exxon's last payment. So that's it, that's all the money
10 we get unless the reopener comes through? There's no more
11 money coming in from Exxon?

12 MS. McCAMMON: That's correct.

13 MR. BALSIGER: Thank you.

14 MS. McCAMMON: That's correct. Yeah, I think the
15 other opportunity for additional funds, and we've talked
16 about this actually with the attorney general's office, is
17 that if there were any other oil spills or, you know, some
18 other kinds of activities that need some form of mitigation
19 or punishment or whatever, there is the potential still for
20 any kind of settlement to include some kind of payment into
21 our fund, which is also, I think, another potential
22 opportunity for increasing the fund.

23 MR. BALSIGER: We want to be careful how we couch
24 that opportunity, I guess. Thank you.

25 CHAIRMAN GIBBONS: Any other questions?

00035

1 (No audible response)

2 CHAIRMAN GIBBONS: Thank you. Thank you, Molly.

3 MS. McCAMMON: Thank you, John. Thank you, Bob.

4 MR. STORER: Thank you.

5 MR. JENKS: My pleasure.

6 CHAIRMAN GIBBONS: Next on the agenda is the public
7 comment period. I know we have folks here in
8 Anchorage.....

9 MS. McCAMMON: Cordova.

10 CHAIRMAN GIBBONS:and Cordova. I'd like to
11 remind you to try to keep your comments to three minutes
12 and I think we'll start first with Cordova. Ken Adams, are
13 you there? Ken? Ken? Is anybody on the line from
14 Cordova?

15 (No audible response)

16 CHAIRMAN GIBBONS: Is anybody else on line from any
17 other communities?

18 (No audible response)

19 CHAIRMAN GIBBONS: Looks like we'll come back to
20 them.

21 MR. ADAMS: Hello.

22 MS. McCAMMON: There he is.

23 CHAIRMAN GIBBONS: Ken?

24 MR. ADAMS: Hello.

25 CHAIRMAN GIBBONS: Yes.

00036

1 MR. ADAMS: This is Ken in Cordova.

2 CHAIRMAN GIBBONS: Okay, Ken, you're on for public
3 comment.

4 MR. ADAMS: Thank you very much. This will be
5 brief. Let's see, I think I'll begin by just going back to
6 Molly's earlier made comment with respect to the NRC review
7 of GEM. I'd like to offer the comment that I am a
8 colleague and have submitted a proposal to you folks for
9 consideration today. And offer that this proposal would be
10 one means, one additional means to comply with the NRC's
11 recommendation for meaningful public involvement within the
12 GEM development process. We offer this proposal as a
13 commercial fishing prospective. And if we are successful
14 in winning your support, we would look forward to working
15 with the restoration office staff in the way of resource
16 managers and other dependents within the community in
17 attempting to identify research projects that the Trustees
18 have supported over the years and that might be of
19 potential benefit to resource dependent people by the way
20 of application of those science results. I think it would
21 be a challenging task but not necessarily an impossible
22 one. And this might well be the means to help bridge the
23 gap between some of the formerly supported Trustee Council
24 research projects and GEM, which is in development. And I
25 thank you very much for your time this morning and look

00037

1 forward to working with restoration office staff and others
2 in development of this proposal. Thank you.

3 CHAIRMAN TILLERY: Thank you, Ken. Any questions
4 for Ken?

5 (No audible response)

6 CHAIRMAN GIBBONS: Thank you.

7 MR. ADAMS: You're welcome.

8 CHAIRMAN GIBBONS: Anybody else with you there in
9 Cordova, Ken?

10 MR. ADAMS: No, sir. No, I am alone at my site.
11 There may be another individual but I think he'd also be
12 alone.

13 CHAIRMAN GIBBONS: Okay, anybody else in Cordova
14 that would like to comment?

15 (No audible response)

16 CHAIRMAN GIBBONS: Okay, we'll move to Anchorage
17 and then I'll move back to the line again at the end to see
18 if anybody joins us. I've got one person I'll call first
19 and then I'll open it up for other people who would like to
20 testify here in Anchorage. John.

21 MR. FRENCH: Good morning. To do this in three
22 minutes is an impossible task but I'll do my best. I'm
23 John French, I'm the owner of Pegasus Enterprises which is
24 the managing partner in the project 674 and I'm here today
25 to encourage you not to reconsider and not to rescind the

00038

1 funding for this project that you approved in your August
2 meeting. The project was revised with no technical
3 modifications but the most meaningful modification was the
4 removal of my co-PI with the door left open to provide
5 additional expertise within the body of the project. That
6 was done for two reasons: one, to allow the possibility
7 that my co-PI, George Divoky, might reconsider and want to
8 rejoin the project; two because there's a perception that
9 I'm not adequately trained as a bird biologist even though
10 I've been the primary person working in the field on 327
11 over the last three years. This, I believe, is a very
12 important project. It's on page 10 of whatever this packet
13 that has the recommendations is called. It's in the
14 category under strategies to improve monitoring. You
15 considered it in August, this project really is more of an
16 assessment of restoration techniques project rather than
17 really projecting techniques. I still believe nest boxes
18 are a useful technique but really the most critical and
19 time critical issue here is the use of the birds that were
20 released during 327 returning to their neonatal fledgling
21 environment. And, indeed, during this year they've begun
22 to do so. You have two letters related to this project,
23 one nine-page letter dated December 8th. One three-page
24 letter that was the cover letter to the proposal that was
25 submitted in October 26th. It's undated but that's the

00039

1 date it was submitted. And attached to the December 8th
2 proposal should be the cover letter to that original July
3 project that you approved for funding in August. Those
4 letters give you much greater detail than I'm going to be
5 able to give here in a few minutes. We are projecting,
6 from actual observations of birds in front -- within 200
7 meters of the SeaLife Center, returns of pigeon guillemots
8 to the SeaLife at a rate of approximately 30 percent, which
9 taken the entirety of the 150 birds that were released,
10 that could represent approximately 22 nesting pairs over
11 the next couple of years. The SeaLife Center site is not
12 by any means an ideal site although it's a good test site
13 because it's a site that has not had pigeon guillemots
14 occupying it for the past several years. Probably in
15 excess of 20 years if not longer than that. It's in close
16 proximity to large human activity and it's in an area where
17 the water is relatively turbid and therefore not the best
18 for foraging. For that reason you would expect that if the
19 birds come back and fail to find appropriate nesting sites
20 in the next two years, why they would go and find them
21 elsewhere. This was typical of the normal behavior of
22 pigeon guillemots and other philopatric alcids. So
23 funding and continuation of this project in 02 and 03 is
24 really critical if we're going to make effective use of the
25 over \$500,000 that was paid by the Trustees to project 327.

00040

1 And on a personal note, the necessary change in senior
2 personnel in my project, first of all, I feel that I have
3 much better bird qualifications than the reviewer referred
4 to. Hopefully, the reviewer was not a close friend of
5 George Divoky's. But in any case, I think the credentials
6 are there. I think, given an opportunity, I can find the
7 people who would provide the necessary credibility to the
8 project. The final project results are peer reviewed.
9 There's a lot of additional hoops to assure the quality
10 control of this project if you provide me funding to go
11 ahead with the project. I lost senior staff because with
12 previous actions in 327 and with the senior Trustee Council
13 staff this year, he was allowed to develop the perception
14 that it was permissible to try to disrupt a project and not
15 follow through on his contractual obligations. I feel that
16 if he had not been led to that conclusion that we'd still
17 have a viable project as you approved it without having to
18 require the change in senior personnel. But given the
19 change in senior personnel, I still think it's a viable
20 project and I would entreat you to allow me the opportunity
21 to continue it and collect the data and show that that is
22 indeed the case. And this is data we're going to lose. I
23 want to emphasize that once again. This is a project that
24 has two critical years in it -- 2002 and 2003. These are
25 the years that these birds are still naive as they return.

00041

1 They haven't found a previous nesting site. Once they find
2 a nesting site, we're essentially looking at the same thing
3 we would in terms of growth of the populations as a
4 redistribution away from established nest sites. Right now
5 they think home is where they fledge from at the Alaska
6 SeaLife Center. They will be making that decision whether
7 to return back there either this year, 2002 or 2003. And
8 we really should follow through and provide the funding for
9 this project to do so. As I said, there's normally a lot
10 of quality control issues. If there's more quality control
11 you wish to put on the project, that's fine. But I entreat
12 you to allow me the opportunity to continue the project.
13 Thank you.

14 CHAIRMAN GIBBONS: Thank you, Mr. French. Any
15 questions?

16 (No audible response)

17 CHAIRMAN GIBBONS: Okay, thanks, John. Anybody
18 else in Anchorage like to testify at this time? Please
19 come forward and state your name and spell it please.

20 MS. STUDEBAKER: Good morning. My name is Stacy
21 Studebaker. I live in Kodiak, Alaska and I'm the
22 recreational users chair on the EVOS PAG. And I have some
23 comments today regarding the Lesnoi land sale proposal on
24 the Kodiak Island road system. And in special regards to
25 one particular parcel, Termination Point. And I don't know

00042

1 if you have been briefed by.....

2 MS. McCAMMON: They haven't yet.

3 MS. STUDEBAKER: They haven't yet. Okay, so

4 they're not familiar with this. Okay. This is a

5 publication that was produced by Lesnoi Native Corporation

6 which kind of summarizes six or seven parcels that they are

7 willing to possibly sell to willing buyers should some

8 things happen in the near future that I'll explain to you.

9 But I guess you have a copy going around there, okay.

10 First of all, a history lesson because some of you weren't

11 around in 1994 on this particular board. But in 1994 I

12 heard about the EVOS small parcel acquisition program and I

13 got the paperwork and did the leg work, the inventory of

14 the resources and researched to nominate a roadside

15 recreational gem of a parcel owned by Lesnoi Native

16 Corporation. This consists of 1,028 acres known as the

17 Termination Point parcel on the north end of our road

18 system. And it's a unique old growth forest, Sitka spruce

19 stand, it's a mono stand, which is very unique in Alaska,

20 as you know. I linked it to the oil spill, there was oil

21 on the beaches there. And also, it's habitat for many

22 wondrous Alaskan species of birds and mammals including

23 marbled murrelets and brown bears, foxes, beavers -- it's

24 got the whole works. It's got everything. The reason and

25 my motivation as a community member was to protect the

00043

1 valuable and unique piece of property on our road system
2 from being clearcut or developed by Lesnoi and further
3 injure the habitat and to create a new state park for quiet
4 recreation sports -- hiking, et cetera -- since only Fort
5 Abercrombie State Park, which is a very small parcel, is
6 really available to the public for that kind of recreation
7 on our whole road system. And, as you know, the proposal
8 was very well received by EVOS and Molly just mentioned
9 yesterday that among the small parcel proposals, it got
10 some of the highest community support of any of the parcels
11 that's ever been nominated for small parcel acquisition.
12 And it's very, very valuable to the community
13 recreationers. And here is a copy in case you haven't seen
14 a copy of the original proposal. I just made a copy for
15 you guys to look at. So EVOS did an appraisal and probably
16 would have negotiated a purchase many years ago if the
17 Lesnoi Corporation hadn't been involved in the Stratman
18 litigation that tied up the clear title to the land. There
19 were other complications, too, but I'm not here to debate
20 whether or not Lesnoi Native Corporation is a valid
21 corporation, that their ANCSA claims are valid. Now
22 recently, Roy Jones, a D.C. attorney has been hired by
23 Lesnoi to get Congress to certify Lesnoi and thereby ending
24 the Stratman litigation and giving Lesnoi clear title to
25 their land so that they can sell some of them to EVOS and

00044

1 other interested land trusts. And if these lands under the
2 current proposal are bought and conveyed to the public,
3 this will be an incredible addition of recreational lands
4 to the public in Kodiak along our road system. Currently
5 the public uses these lands anyway and since they're
6 private, there are trespass issues, especially with ATVs
7 and they are quickly degrading many of these parcels. And
8 since Lesnoi has no enforcement capability the ATVs are
9 just running rampant and degrading Termination Point and
10 other pieces of their property. About 18 months ago Roy
11 Jones, on behalf of Lesnoi, began working on this land sale
12 proposal that you see going around and negotiating with the
13 Kodiak Borough manager to get the Borough's support should
14 Congress come through and the lands become available. And
15 even though the Borough would not manage any of these
16 lands, the Borough was included in trying to get the
17 support. This has been done, many people in the public
18 feel recently now that this has come out into the open that
19 this has been done behind closed doors until last week when
20 Roy came to town and met with a select number of groups,
21 including the State Parks Advisory Board and the Kodiak
22 Audubon Society, which I'm the president of, to get our
23 support as a conservation community for this in case this
24 should be a viable opportunity to attain some public lands.
25 And lo and behold when I saw this packet for the first time

00045

1 last week, the parcel that I had nominated in '94, this
2 Termination Point parcel here, now has a line and road
3 right through the center of it with a proposed boat launch
4 to be managed by the Borough at one end of it and a 15 acre
5 site set aside for Lesnoi shareholders to develop cabin
6 sites and a lodge. And that was totally new to anybody who
7 supported the original proposal. That just came out of the
8 blue last week. And, let's see, this was not part of the
9 original proposal, the proposal which the EVOS Trustees
10 agreed to purchase intact way back. And so I did more leg
11 work to try to track down the origin of the road idea to
12 see who came up with that idea and it turns out that it
13 came from the Kodiak Borough. No public process was ever
14 involved in this part of the new package.

15 CHAIRMAN GIBBONS: Can you try to wrap this up,
16 please?

17 MS. STUDEBAKER: Okay, yeah. And the question is,
18 why was Kodiak Borough given the power to influence the
19 integrity of this particular parcel, that's a big question
20 and they would dramatically alter the nature of the parcel
21 and the original proposal. Supporters of the original
22 proposal are appalled. The State Parks Advisory Board and
23 the Kodiak Audubon Society are opposed to the road, the
24 boat launch and the development within the Termination
25 Point parcel. We feel that the habitat would be destroyed

00046

1 and further degraded. Since Termination Point led the way
2 in this entire bridge between the EVOS Trustee Council and
3 Lesnoi, that further compounds the tragedy. And there are
4 clear alternate sites for a boat launch that already have
5 existing roads to them. Likewise, the Lesnoi shareholders,
6 should their land title be clear, will not only be able to
7 sell these small parcels but they'll also be in clear title
8 to the rest of their lands, many thousands of acres, which
9 they can develop any way they want. So they clearly have
10 alternatives for cabin sites. So there's very little, next
11 to no public land on our limited road system. One end of
12 the road was clearcut and developed in Chiniak, another end
13 of the road has a rocket launch facility that's being taken
14 over by the Department of Defense and the access is being
15 increasingly restricted. The end of the road where
16 Termination Point is located is the only potential place
17 left on our road system where some land can be preserved in
18 its natural state and managed, if purchased and turned over
19 to State Parks, for those ever-increasing recreational
20 users who enjoy quiet sports. As you know, very little of
21 Kodiak Island is forested and the Termination Point parcel
22 is the last case of intact old growth forest on our road
23 system that could be protected for future generations. And
24 if managed by the State park system, the ATV use could be
25 restricted and the existing scars could heal in time as the

00047

1 species injured by the oil spill are recovered. So I urge
2 you to stand by the original proposal for Termination Point
3 the way you accepted it originally and not allow the value
4 of this wonderful land to be compromised if Congress eases
5 the way to this land sale and you, EVOS, are still
6 interested in purchasing in it. Thank you for your time.
7 Do you have any questions?

8 CHAIRMAN GIBBONS: Thank you, Stacy. Any questions
9 for Stacy?

10 MR. RUE: Very quickly, has the Borough taken an
11 official stand on this?

12 MS. STUDEBAKER: No.

13 MR. RUE: Have they passed a resolution or
14 anything?

15 MS. STUDEBAKER: No, they haven't. There was a
16 meeting last week where Roy Jones briefed the Borough
17 Assembly on the land sale package and they haven't.....

18 MR. RUE: Okay.

19 MS. STUDEBAKER: They haven't made any resolutions
20 one way or the other.

21 MR. RUE: Okay.

22 CHAIRMAN GIBBONS: Any other questions?

23 (No audible response)

24 CHAIRMAN GIBBONS: Thank you, Stacy. Anybody else
25 in Anchorage like to testify?

00048

1 MS. OBERMEYER: Yes, Theresa Obermeyer. Good
2 morning. I always have something to pass along and I might
3 -- Molly, I have a little Christmas gift for you, a current
4 directory of attorneys. I hope Mr. Tillery has one. And
5 let's talk further because the great summary, Molly, is on
6 page 110. And I hope you'll look at that, I paper clipped
7 it. See, there are almost 500 of Mr. Tillery in this
8 little state out of 2,200. It's unbelievable. Can we
9 start realizing what's really going on? I just have a few
10 things and I don't have enough copies. I'll just hand out
11 a few things and if you're not interested, throw them in
12 the trash. And good to see you, Senator. And let me just
13 hand you the signature of the Chief Justice of the Supreme
14 Court, which isn't worth a plug nickel. Please read
15 yourself what's really going on here.

16 And then I have one other one, I'd never -- you
17 know, what I do I do know is I would need a dolly to bring
18 in all the transcripts and all the documents that we really
19 do have. But just briefly -- and I just wanted to mention,
20 it's kind of funny and sometimes the joke really is on me
21 but I'm able to laugh with you. Of course, it's all about
22 this and can we note that it is really about American law.
23 I don't know -- all I can do is tell you but I assume you
24 know that almost 18 years later in the only state in the
25 United States that does not have a law school. This is

00049

1 almost half of statehood, my husband still isn't licensed
2 to practice law. And what it is, is if you went into any
3 law library in our great nation you could see the set of
4 volumes. Of course, go over to UAA, there are ALR 1st
5 through 5th, this is the summary of American law. And in
6 the case of my husband, it's called the American Law
7 Reports 4th, volume 57, page 1195. It is a complete
8 statement of all the case law on a given point. A precise,
9 current and authoritative treatise that is the quickest way
10 to all the law within the scope of the subject matter,
11 that's what this is. In this case, it's every testing and
12 licensing issue in the United States of America. It was
13 published on April 18th, 1986. So if anybody knows how to
14 count, how many years ago that was.

15 And just to give you -- kind of a funny story, you
16 see, I of course have been on the Anchorage School Board
17 and so all I can do is stay on task and what I continue to
18 do is I continue to go to the Anchorage School Board
19 meetings. Oh, I wanted to mention I live in a place where
20 we have term limits, recalls and run-offs of our neighbors,
21 the school boards and the assemblies. And U.S. senators
22 are in office for life. We've never even met them and
23 their main job is getting their own children in the State
24 Legislature. How can we let this go on? I mean I see this
25 year after year after year. But what I was going to

00050

1 mention, the fun -- last story. So I respectfully always
2 write out what I would like to speak about to the Anchorage
3 School Board. You know, 42 percent of the students of the
4 state of Alaska go to the Anchorage School District. And
5 we live in a place where we have 53 districts and over half
6 of them have under 250 students. And we have -- 42
7 percent, that's 49,000. Can we start looking at the big
8 picture? But anyway, I did that. I e-mailed over
9 yesterday at about 4:00 o'clock, the items that I wanted to
10 speak about. And I get over there and I'm ready to say
11 hello, just momentarily, because of course, I don't stay
12 that long. You know they're getting paid peanuts, I don't
13 make anything. They don't make much and I do res -- I want
14 to be nice and help them. But anyway, they wouldn't let me
15 speak. Well, what happened was they -- this is Carol
16 Comeau and Peggy Robinson, they called the police on me
17 and, of course, I was told by Dick Tremain that there were
18 seven police cars outside the Ed. building, well, they
19 didn't come in. I think we're starting to win. You know,
20 every one of those police officers probably has children in
21 the Anchorage School District. And so I feel that was a
22 really big victory last night. I mean, let's laugh, let's
23 have a wonderful time. Oh, the last thing, is do we know
24 that a picture is worth a thousand words. I want to leave
25 you with this picture. I don't know how many of you saw

00051

1 it. It was in the December 3rd Time magazine. So I am
2 really pleased and look at it yourself and let's talk about
3 it. If anyone had a question, I would be glad to field
4 them. Otherwise, I just appreciate your allowing me to say
5 hello and have a great holiday. Thank you so much.

6 CHAIRMAN GIBBONS: Is there any questions?

7 (No audible response)

8 CHAIRMAN GIBBONS: Thank you, Theresa. Anybody
9 else in the audience like to speak?

10 MS. BLACKBURN: Yes, sir. About three
11 sentences.....

12 CHAIRMAN GIBBONS: Please state your name, please
13 and.....

14 MS. BLACKBURN: Oh, Chris Blackburn from the PAG.
15 If I had known that Stacy was going to bring up Termination
16 Point, I would have been right beside her. And that is a
17 very special place. And when I agree with Stacy, you know
18 it's really good. And that's all I wanted to say.

19 CHAIRMAN GIBBONS: Thank you. Anybody else in
20 Anchorage like to testify?

21 (No audible response)

22 CHAIRMAN GIBBONS: Hearing none, anybody else
23 online?

24 (No audible response)

25 CHAIRMAN GIBBONS: Hearing none. Hearing no other

00052

1 opportunities, I'd like to close the public comment period
2 and thank everybody for their testimony and move on to the
3 next topic on the agenda, deferred projects. It looks like
4 Molly and Bob Spies.

5 MS. McCAMMON: Yeah, Mr. Chairman, we're going to
6 do -- there's one project in particular, the lingering oil
7 follow up, I think that we wanted to do a special
8 presentation on. So I think Bob will start with that one.

9 DR. SPIES: Let's take a minute to get the
10 computer.....

11 MS. McCAMMON: Yeah, we need probably a minute here
12 to get the computer set up and we'll start with that
13 presentation and then go through the rest of the projects
14 because that one has a special.....

15 CHAIRMAN GIBBONS: Okay.

16 MS. McCAMMON: We have several people in the
17 audience that are going to speak to that.

18 (Pause)

19 DR. SPIES: Molly asked me if I would give an
20 update to the Trustee Council where we stand with the
21 question of lingering injury in Prince William Sound and
22 there's kind of two parts to this, really. There will be a
23 full review of the injured species list sometime in the
24 next year, most likely this coming spring and then we'll
25 report back to you at the end of those deliberations. But

00053

1 in the meantime, last year you funded a project to look at
2 the amount of remaining oil in Prince William Sound and to
3 make an estimate of that and then there's been some follow-
4 up questions about that and there's a proposal in your
5 package relating to some follow-up work with that. So this
6 is a little report based mainly on the summer's findings
7 from this project.

8 The last complete survey of Prince William Sound
9 oil was in 1993. We have had surveys of other parts of the
10 spill area previously and although there is some lingering
11 oil along the Kenai Peninsula in a few places and along the
12 Kodiak Peninsula, it appears by and large -- excuse me,
13 along the Alaska Peninsula and very little remaining in
14 Kodiak -- it appears by and far the largest amount of
15 remaining oil is where the heaviest impacted beaches were,
16 generally in Prince William Sound. The methods that were
17 used in 1993 to assess the amount of oil were really geared
18 towards decisions to be made about whether it was cleaned
19 up, they were using methodology that was developed by the
20 Alaska Department of Environmental Conservation back in '89
21 and '90. The idea was that those were not necessarily the
22 best methods to get a -- they were more geared for cleanup,
23 they weren't the best methods probably for actually
24 estimating the exact area and volume of oil that was still
25 remaining. So there was new methodology proposed during

00054

1 this project and approved during the review and a process
2 which included a large workshop. So that was employed in
3 last summer's cleanup efforts -- survey efforts, excuse me.
4 There are continued signs of spill related effects in some
5 of the top level predators in the intertidal communities
6 and we want to give you a little bit of an introduction to
7 some of those data today.

8 And finally, this is in fact an attempt to kind of
9 put together a conceptual model here of what we want to be
10 dealing with in terms of lingering injury and following
11 forward on the findings from this last summer. I've got to
12 get my -- there we go. During the oil spill, almost
13 continuous large volumes of oil, like you can see in this
14 video, hit the beach and penetrated deep into the cobble
15 beaches which are on the predominant environments in Prince
16 William Sound. And not only did it get into these cobble
17 beaches but also got oil under mussel beds and this
18 material was also washed into the subtidal environment.
19 And what we're presenting here is kind of our conceptual
20 model or hypothesis about what is occurring presently with
21 that remaining oil in the environment.

22 The second part of this is that we have evidence in
23 fact that oil is making its way into the food web. That
24 this oil is remaining mainly below the surface in Prince
25 William Sound and biologically available.

00055

1 Thirdly, some of the oil contaminated prey that is
2 absorbing this material is being consumed by sea ducks and
3 sea otters. The ingested oil is being metabolized and
4 their enzyme systems that can break this down and the
5 metabolic products are causing tissue damage.

6 Let's take the first part of this conception model,
7 oil deep in the cobble beaches under mussel beds and in the
8 subtidal. Although heavy cleaning helped remove a lot of
9 the surface oil after the spill, much of the oil that
10 penetrated in these cobble beaches went down between the
11 cobbles and has probably been slowly decreasing in the
12 amount and extent. But still, one can find a lot of fresh
13 oil in Prince William Sound and Jeep Rice is going to tell
14 you a little bit about this. The oil is not being broken
15 down to a very large extent subtidally. It's in isolated
16 pockets that are not subject to very great rates of
17 weathering. You can see in the right hand photo here that
18 the deep oil is just fresh material, it's still somewhat
19 liquid in places and much of it looks not too unlike the
20 material that was still seen back in the early nineties.

21 There was some deep beach cleaning done in '97.
22 LaTouche Island among others was particularly -- and the
23 protected parts of that island, the north part of that
24 island that received such a heavy oiling back in '89 were
25 subject to cleanup. But still, much of the oil remains.

00056

1 We just treated part of the environment. The second part
2 as conceptual model is that oil is making its way into the
3 food web. That is, the oil is biologically available. And
4 this has been looked at in a number of ways. One of the
5 experiments that have been done has been by the Auke Bay
6 folks where they looked at the transport of water through
7 the intertidal subsurface and this is a dye injection
8 experiment done in the mouth of a salmon stream. You can
9 see the rhodamine dye that was injected further up on the
10 shore coming out down at the water's edge at the bottom of
11 these streams on a low tide which indicates a mechanism of
12 moving this subsurface water down into the intertidal and
13 that material is going to come out with low levels of
14 dissolved hydrocarbons in it.

15 The third part of this conception model is oil
16 contaminated prey is being consumed by sea ducks and sea
17 otters. And you'll hear from Jim Bodkin this morning about
18 the studies on the sea otters and also the harlequin ducks.
19 And there are indications from studies done over the last
20 several years that there's ongoing damage evident in the
21 sea otter populations and we do, of course, know that the
22 sea otter populations around the Knight Island Archipelago
23 are not recovering the way we'd like them to.

24 And finally, ingested oil is being metabolized.
25 We've got evidence of this that Jim will present. I don't

00057

1 have any graphics for this particular part of the
2 introduction that I'm making but these enzymes are
3 metabolizing the oil and finally, the metabolic products
4 are causing tissue damage. And Jim will show you a couple
5 of examples of sea otter livers. The one of the left is
6 from Montague Island and the one on the right is from
7 Knight Island and Jim will be talking about some of the
8 problems that -- some of the disease situations that occur
9 in these Knight Island sea otters and whether they might
10 be, in fact, linked to the oil. So without a lot more
11 introduction to that, I would give us a couple of minutes
12 to change computers here and Jeep will give you a little
13 introduction on the oil survey in Prince William Sound.
14 How they designed the survey, how much oil they found,
15 where it is and some ideas about bio-availability.

16 (Ms. Brown arrives - 11:40 a.m.)

17 CHAIRMAN GIBBONS: While you're changing that, just
18 for the record, Michelle Brown is present now. Welcome.

19 (Pause)

20 MR. RICE: All right, I'm going to talk about how
21 much oil remains and a project that we did last summer.
22 And Bob's kind of given an introduction to that in some
23 ways. In 1999, the 10 year anniversary of course, there
24 was a lot of effort out there by the media to get people
25 like us out there to see if there was oil for them and that

00058

1 sort of thing. And so by '99, of course, we could easily
2 still find oil. But that raised the question of whether
3 those are just isolated spots that we continue to study,
4 study, study or whether the oil we were finding was really
5 not that isolated. That then stimulated this assessment
6 that we did last summer. We really needed to know how much
7 was still out there. So this is our general objectives,
8 how much oil remains in terms of oil but where and
9 basically a secondary question you might say is, what's the
10 square footage of the oil that's out there. So the volume
11 and the square footage, we want to know both those
12 questions.

13 We went to the usual suspect sites, so to speak.
14 We went to 91 sites, over 7.7 kilometers of impacted
15 shoreline were assessed last summer. We dug about 7,000
16 pits. Now, the places we went to were taken out of
17 population sites that were judged to be heavily oiled and
18 maybe moderately oiled back in 1989 through 1993. If
19 you're judged to be heavily oiled in each of those years,
20 you have a higher probability of being selected. And
21 basically we went into about 20 percent of the heavily
22 oiled sites out of that population, one out of five. This
23 91 sites, that's really 91 days of working the field, do a
24 site per day. So this is not a casual effort to get
25 through seven or eight, 91 days in the field to dig these

00059

1 7,000 pits or so.

2 There are two parts to the design, stratified
3 random is one and also an adaptive sampling and I'll cover
4 that in a second. The way we did this is that we would go
5 to a beach, survey it out using some sophisticated laser
6 stuff and GIS stuff, et cetera and we stratified the thing
7 -- maybe I got a pointer that I -- no -- in terms of half-
8 meter drops. Thank you. So we stratify it down in half-
9 meter drops vertically so while we only went a half a
10 meter, that might be 10 feet where, you know, we went
11 another half a meter, it might be 10 meters or so in terms
12 of lateral distance, but we were just going down
13 vertically. And we would develop, in about a hundred meter
14 section, we'd have these columns that were around 12 meters
15 wide and then, of course, we'd get all the columns in this
16 segment. And then out of that we would randomly dig two
17 pits in each one of the little quadrants. Well, the little
18 quadrants were really pretty large but in each of those we
19 would do that. And of course we would do that by the
20 entire segment. So in terms of a hundred meters then we
21 were digging about 96 randomly selected pits and for the
22 summer that added up just shy of 7,000. So it's not a
23 casual effort.

24 The other sampling aspect, a little bit dependent,
25 but also independent, was when we did run across a pit that

00060

1 had oil in it, then we would sample all around this pit in
2 order to assess how big this oil patch was. And so here
3 you can see that, for example, we were hitting zero, zero,
4 zeros but here in squares one through five through 11
5 there, we hit oil. Okay, so then we would map out just how
6 extensive this patch was and was it running horizontally on
7 the beach or vertically or was it just one little isolated
8 spot. We'd get that sort of assessment when we were
9 digging. This added more pits so that in addition to the
10 7,000 random pits, approximately, we dug another 3,000 for
11 a total of 10,000 pits. The design was rather
12 sophisticated, the digging is rather simple but very
13 physical.

14 Here is a layout of the grid, the vertical columns
15 and here you can see some orange pegs, not very well, so
16 this is between here and here is half meter drop. You can
17 see the nice pits to there, another couple and another
18 couple, et cetera. So this is divided up into the half-
19 meter vertical drops. This is a very easy beach to assess.
20 With conditions like this, we couldn't stop the diggers
21 from digging. But this is more of a typical beach, very
22 well armored and bouldered, very physical. And what you
23 have to do here is take a pry bar to this 250 pound bedrock
24 here and pry it up and over and then underneath you take
25 out the basketball or football sized pieces of rock and

00061

1 then you can dig a hole and assess. You can look to see if
2 there's oil there in the surface first and then you dig a
3 hole to see if there's oil. Now, we couldn't just go to
4 a spot and say, well jeez, there's a big rock there, we'll
5 move our spot to here. No, if this is where the peg came
6 on the random assessment, this is where we dug and if it
7 was bedrock and you couldn't assess, well, you came up with
8 a zero. But we did not adjust the spots that we dug to
9 where we felt like we could physically dig easier.

10 Before we actually did the digging we would first
11 assess the surface, were there are tar spots, there's about
12 five, six, seven different classifications, but were there
13 tar spots, was there some -- these are the worst cases,
14 sheen in a tide pool -- that you could just see from
15 walking around. These are the sort of assessments that
16 were made last in 1993. They were looking for these sorts
17 of contamination. And they did a more -- a lot of walking.
18 Walked, I don't know how much, hundreds of kilometers in
19 1993. They did a heck of a job, it took them the bulk of
20 the summer but they didn't dig very many holes. They did
21 dig holes but not very many. And so their assessment was a
22 little bit different.

23 Okay, when we got to our spot we dug holes. We
24 went down about two feet, half a meter. This was a case
25 here of LOR, lightly oiled. Okay, here's a medium because

00062

1 there's droplets that are showing up but they're not
2 continuous where there's a sheening. But this is just
3 plain oil here. Here the oil is saturating all the
4 interstitial spaces in the sediment there. And this is
5 down about six or seven inches or so. And to answer your
6 question over there on the wall there, these are all 2001.
7 These aren't 1989 or 1995 or something. These were all
8 taken in 2001. When we assessed the hole we would
9 sometimes take samples on every beach to assess whether it
10 will or will not fingerprint back to Exxon Valdez oil. And
11 this would give us a weathering state. I'm almost certain
12 that the 99 percent (indiscernible - away from microphone)
13 when we get the chemistry analysis back that this will
14 fingerprint to Exxon Valdez. There's no doubt in my mind.
15 We also were taking some holes, not every hole, but
16 we would assess in a very rigorous way what's the volume of
17 oil. I don't have the chemistry data back yet, that will
18 be coming in the next couple of months. We're heavy into
19 it but we're not done and so the volume estimates I won't
20 be giving to you today but I will give you the square
21 footage type of data that we have. So of the 91 sites that
22 we went to, 53 had oil within the site. That's over half,
23 five-ninths, some percentage there. But more than half.
24 That's more than we expected and our design was really
25 based on the assumption that we wouldn't find that much

00063

1 oil. When you calculate out the square footage on that
2 beach and then expand it up for that zone and whatnot, you
3 come to an estimate of 20 or 22 acres, depending on which
4 of those two sampling methods you use. So you can see that
5 those are in pretty good agreement. And this is a
6 confidence bound for one of them from eight to 32 acres
7 (indiscernible - away from microphone). What the whole
8 point of showing the range there, the bound is that that's
9 a pretty tight estimate given the physics and all the
10 digging and the geography and site selection and all, I'm
11 very, very happy from the scientific basis with that bound.
12 The oil distribution versus tidal zone. Over here
13 we got the tidal height going down from the very top, the
14 first half-meter drop, the next half meter and the next
15 half meter. And as you can see, we only went down to about
16 three meters here. So it's only about halfway down an
17 intertidal zone. We didn't get to the lower half usually.
18 If we first look at the surface oil pits, don't look over
19 here, look at the surface oil pits and you see that it
20 peaks at 56, 58 and 60, between one and two meters. This
21 is reflecting basically the bathtub ring. This is surface
22 oil. This is what you could just walk along and see a tar
23 spot there, a little piece of mousse maybe or something
24 between rocks. But this is a visual walk, if you will.
25 This replicates the 1993 survey at this particular site and

00064

1 this data here reflects the bathtub ring, okay? Now, if
2 you notice the subsurface pits, they're peaking at two and
3 a half and three meters down and, in other words, at the
4 lower end of the beach that we're surveying, which is only
5 halfway down. The mussels start about right there, okay?
6 So we didn't get down to the biology zone so it begs the
7 question then if we'd have gone further down in here, what
8 would we have found? We certainly would have found some
9 oil, would we have found as much as that? I don't know.
10 But the point is that our square footage of 20 acres or so
11 is going to be an underestimate because that 20 acres
12 applies to three feet on up -- three meters on up, rather.
13

14 Okay, so real quickly there's some preliminary
15 conclusions. There may be surprises, is another way to
16 phrase it. We found more oil than we expected. We found
17 our expectations were based on the 1993 surveys which were
18 walking surveys. And the amount of oil we found was more
19 than twice the amount found in 1993. Okay, and again, they
20 didn't dig the number of holes and walked an awful lot more
21 beaches than we walked and we surveyed but they didn't dig
22 as many holes. So we found a lot more oil. And again, as
23 Bob pointed out, their objectives were a little bit
24 different than ours. It had more of a cleanup objective to
25 it. The oil has been found in the lower intertidal. We

00065

1 didn't expect that because the conventional wisdom was
2 focused on that bathtub ring zone, is what the project did.
3 And so when we found a patch and continued to work it on
4 down to the water's edge, we found oil below our sampling
5 grids and lower down in the intertidal zone. The
6 significance is that that's the biological zone. There's
7 not a lot growing up there at the one-meter drop area. If
8 you're going to feed on plants and mussels and whatnot,
9 then you're down below that three-meter drop and that's the
10 biology zone. That's where the otters are going to feed,
11 the harlequin sea ducks, et cetera. And the point is,
12 there's oil there.

13 Okay, the oil state ranges from asphalt which the
14 significance of that is it's not very biologically
15 available, it probably has no damage to animals whatsoever.
16 Maybe from an aesthetic point of view but not from a
17 biological or toxicity point of view but the states range
18 to nearly fresh oil. Do you remember the one heavily oiled
19 hole? That is nearly fresh oil. It doesn't have benzene,
20 toluene and (indiscernible - away from microphone) which
21 evaporated off but it's got the two rings, three rings,
22 four rings, five rings. It's pretty fresh, it flows easily
23 and if you can get it to an animal, if it's available to
24 the animal, it's going to be toxic, very toxic.

25 Okay, and that raises the question that we have.

00066

1 The first part of the question, is the oil there? The
2 answer is yes. The next follow up question is, is it
3 bioavailable? And that's the question. The research that
4 Jim will talk about, his work and Dan Esler's work with
5 harlequin ducks, the answer that they've gotten in '98,
6 '96, '98, '99, 2000, is that the answer is that yes, it
7 probably is bioavailable. However, their studies weren't
8 conducted at the precise place we went and assessed oil.
9 We didn't assess oil necessarily where they were doing
10 their studies and that's unfortunate in a way but we didn't
11 know how this was all going to work out. So in the future
12 then, one of the deferred, this number here, lingering oil,
13 bioavailability and effects of prey and predators is that
14 we need to tie these studies that are still finding effects
15 with those that are still finding oil and tie them together
16 primarily and get the sites where they do the studies. Get
17 commonality between those places. So we want to
18 investigate a linkage then between oil persistence, whether
19 that oil is bioavailable and whether the impacts on otters
20 and harlequin ducks are still taking place.
21 Our laboratory will take the lead in looking at the
22 bioavailability of oil. We'll want to know if the oil
23 that's in those patches, whether it can be mobilized, first
24 of all, can be mobilized within the interstitial water
25 below the surface, can get to above the surface. Can it

00067

1 get to the prey animals, we'll sample prey. We'll look to
2 see if there's oil in the prey. We'll also look for some
3 damage to some prey animals. One of those things we're
4 going to use is this simple plastic strips, polyethylene
5 bags, think of a little baggie, only we'll use strips. It
6 costs about a penny for a hundred feet. The analysis is a
7 little more expensive, to say the least, but the materials
8 aren't. And it's advantageous to use these plastic strips
9 because these are, in a way, synthetic mussels but they're
10 a heck of a lot cleaner and cheaper to analyze. A lot of
11 them help to assess whether the oil is bioavailable or not.

12 That's about all I have. The second objective is,
13 is that oil still causing impacts to sea otters and
14 harlequin ducks and GEM and USGS will take the lead on
15 that. And I'm going to say, take it away, Jim. We'll
16 probably hold questions until after we're both done, I
17 suppose.

18 MR. BODKIN: Probably need a fancy guy here to.....

19 MS. McCAMMON: Change computers?

20 MR. BODKIN: No, we just need to call up the next
21 talk, which is already right there. I'm going to speak
22 today on the status of harlequin duck and sea otter
23 populations in Prince William Sound as well as summarize
24 the research that's been ongoing since 1993 regarding these
25 two species. I'm going to present the harlequin duck work --

00068

1 Dan Esler was the principal investigator on this work,
2 he's now assigned with Fraser University. And I've been
3 the principal investigator for the sea otter work. We're
4 going to talk about population status; in other words,
5 what's the trend in these populations over time. What are
6 the factors contributing to those trends and in both cases
7 we have estimates of mortality. And we're also going to
8 look at biomarkers of exposure to oil. And it's probably
9 important to recognize at the onset that harlequin ducks
10 and sea otters share a great deal of similarity, both in
11 the habitats that they utilize and in their natural
12 history, their habits. They both forage on benthic
13 invertebrates, and these are animals that don't metabolize
14 hydrocarbons but they sequester them. Both these animals
15 live very close to the shorelines. Those areas that Jeep
16 just described where they found residual oil. Sea otters
17 in particular are diggers. They excavate large amounts of
18 sediments and extract clams. In Prince William Sound, 70
19 percent of their diet are benthic clams that requires
20 excavation from the sediments, providing at least a
21 potential pathway for animals to gain exposure to the
22 residual oil both through their food as well as through
23 their activities of foraging.

24 First we're going to talk about harlequin ducks.
25 I'm going to talk about harlequin ducks in a series of

00069

1 slides and then I'm going to show sea otters and it's going
2 to be the same pattern. Basically the study areas, the
3 population trends, the estimates of mortality and the links
4 to exposure to oil. Now, harlequin duck work was initially
5 done in an oiled and unoiled comparison between Montague
6 Island. The study sites are highlighted in yellow. Along
7 Montague Island and also in the oil spill area, Main Bay,
8 Crafton Island and also Green Island. So I'd like you to
9 try to recall the locations of the residual oil that Jeep
10 showed. I know it's hard, there was dots all over the map
11 but basically they were concentrated, the residual oil,
12 along the Northern Knight Island archipelago but at various
13 sites throughout the spill area.

14 Harlequin duck population trends. This is data
15 that's been collected by the Alaska Department of Fish and
16 Game and basically in eastern Prince William Sound there's
17 been a slight trend to increasing populations although it's
18 been non-significant. In western Prince William Sound, in
19 the oiled areas, there's been a significant decline in the
20 abundance of harlequin ducks between 1995 and 1997. We
21 posed a question in 1994, what's potentially constraining
22 recovery or why are not these populations increasing and we
23 had two hypotheses to test, one of them is that food was
24 limiting recovery. In other words, there wasn't enough
25 food available for these animals to reproduce and grow.

00070

1 And the other hypothesis was that they were potentially
2 being exposed to oil, residual oil that could have added to
3 mortality and constrained recovery.

4 Here's basically the summary of survival rates of
5 harlequin ducks in oiled and unoiled areas of Prince
6 William Sound between 1995 and 1998 and there's additional
7 data that's being collected as we speak. Basically the
8 short story here is that in the oiled areas, harlequin duck
9 populations exhibit a mortality rate that's 10 percent
10 higher than in the unoiled areas. That mortality rate
11 coincides with the short days of winter and the hard
12 environmental conditions that occur in the January and
13 February period. These animals require daylight to feed
14 and because of the short daylight during this time, they
15 probably are spending most of the daylight time feeding.
16 But anyway, elevated mortality in western Prince William
17 Sound in the oiled area and that mortality translates into
18 that declining harlequin duck populations.

19 We next looked at potential exposure to
20 hydrocarbons in harlequin ducks. Basically we -- again
21 this represents several hundred ducks, 250 ducks -- we had
22 significantly higher levels of cytochrome P450 1A. This is
23 an enzyme that vertebrates produce to metabolize
24 hydrocarbons and basically we had levels that were about
25 four times higher in the oiled area. This is a strong

00071

1 indication of exposure to lingering oil. And in the case
2 of harlequin ducks, we also tested for PCBs and these were
3 found to be absent in the animals. They would also induce
4 the production of this enzyme. So we could discount the
5 possibility of PCBs contributing to this pattern. So for
6 the story with harlequin ducks, they're exposed to oil, the
7 populations are declining and mortality rates are elevated.

8 Now, sea otters are a little bit different study
9 areas, we concentrated our efforts at Northern Knight
10 Island because this is the area where mortality was
11 greatest, it approached 90 percent in 1989 in some of the
12 bays, Herring Bay in particular. And we knew that because
13 of these declining populations that this was the area that
14 was most heavily impacted and probably the last place that
15 we would anticipate seeing recovery. And we also used the
16 Montague area as our unoiled reference site. A little bit
17 different picture in terms of population trends, for sea
18 otters in Prince William Sound since 1993, we've had an
19 increase of 900 animals in the western Prince William Sound
20 area. That's represented by this line. In the Northern
21 Knight Island area our intensive study site where mortality
22 was high and exposure to oil was extreme, we've basically
23 seen no change in population between 1993 and the year
24 2000. And the population abundance is about half of what
25 we knew occurred there before the spill. So we definitely

00072

1 haven't seen a recovery at Northern Knight Island whereas
2 over the large area of Prince William Sound there's
3 evidence of recovery.

4 These two graphs show predicted population trends
5 in western Prince William Sound. This is this curved line
6 and the actual data points. And at Northern Knight Island
7 population trends based on mortality rates that were
8 estimated from carcasses and the actual survey data from
9 that area. Basically what this tells us is that there's an
10 elevated mortality that's contributing to this lack of
11 recovery at Northern Knight Island that we're not seeing in
12 the western Prince William Sound area as a whole. Next we
13 looked at, again, the same enzyme, cytochrome P450, we
14 looked at that in sea otters from Knight Island and in
15 Montague Island. The blue bars are the values from animals
16 from the oiled area in Northern Knight Island. The pink
17 bars from Montague Island. Basically we have significantly
18 higher levels of this same enzyme in sea otters as we saw
19 in harlequin ducks elevated in animals from the oiled area
20 and indicating exposure to oils which we've also tested for
21 PCBs and can discount the possibility of that contributing
22 to these patterns.

23 We also looked at a wide suite of basically blood
24 parameters in all the animals that we handle. One of the
25 enzymes that we look at is GGT, it's a non-specific liver

00073

1 enzyme that's used to detoxify materials in the body. It's
2 also an indicator of liver function and in liver disease.
3 We had very high levels. These are the proportion of
4 animals that exhibit elevated levels. The normal level is
5 about 14 units, these are just the proportion of animals
6 that exceed 20 units. This is from 1992, these two bars
7 here, adults and pups, 1968 and 1998 adults and 2001
8 adults. And what we see is a declining rate of persistence
9 of elevated GGT but still and even in 2001, a proportion of
10 the animals have elevated GGT, indicating liver disfunction
11 or disease. These are those two liver slides that Bob
12 showed us a little bit earlier. This animal up here is one
13 of those animals that had an elevated GGT level. We saw
14 three of the 15 animals that we sampled, these are with
15 endoscope biopsies, so these are gross pathologies as well
16 as microscopic pathologies that are associated with these
17 livers. Three individuals of the 15 that we sampled
18 demonstrated these pathologies along with the elevated GGT
19 levels whereas all of the 15 animals that we sampled from
20 Montague had these normal livers. Basically the veterinary
21 pathologist that looked at these slides concluded that at
22 least two of these animals had got fatal pathologies
23 associated with those livers. In other words, that they
24 would almost certainly result in the near term death of
25 those animals.

00074

1 So in summary, sea otters and harlequin ducks, they
2 share habits and habitats in the nearshore, in areas where
3 oil lingers. In both cases populations are failing to
4 recover and it's elevated mortality as opposed to reduced
5 reproduction that's constraining recovery. There's
6 elevated biomarkers of oil exposure that are consistent
7 amongst these two species and there's accumulating evidence
8 that's linking the residual oil and its continuing injury.
9 Our plans, as Jeep indicated, we're to continue the sea
10 otter and harlequin duck population surveys to monitor
11 trends in abundance as well as to continue the estimates of
12 mortality. We need to increase the number of sea otter and
13 harlequin duck liver biopsies. That's because of the
14 relatively low incidence of this disease that we've found
15 in the population. Even though it translates into fairly
16 small increases in survival, as you can see these small
17 increases -- decreases in survival -- these small decreases
18 in survival can lead to declining populations or a lack of
19 growth in populations which should be growing. There's
20 harlequin duck work going on with controlled oiling
21 experiences. They're dosing animals with oil and that work
22 will continue. But more importantly we need to now
23 spatially integrate the lingering oil studies that Jeep
24 talked about with these sea otter and harlequin duck
25 studies. It's about time that these linkages could be

00075

1 made. We couldn't make them in the past until the results
2 of these most recent surveys of remaining oil were
3 completed. And I think that's it.

4 MR. RUE: I've got a question.

5 CHAIRMAN GIBBONS: Frank.

6 MR. RUE: Quick question. On the trends that you
7 showed, I think you said western Prince William Sound sea
8 otter populations were level?

9 MR. BODKIN: Western.

10 MS. McCAMMON: Western's increasing.

11 MR. BODKIN: Western Prince William Sound as a
12 whole.....

13 MR. RUE: Was increasing.

14 MR. BODKIN:was increasing but just Knight
15 Island was not.

16 MR. BODKIN: Right.

17 MR. RUE: Okay.

18 MS. McCAMMON: That's eastern.

19 MR. RUE: That's what I was trying -- yeah.

20 CHAIRMAN GIBBONS: Jim.

21 MR. BALSIGER: On that same point, I thought you
22 said that on Northern Knight Island that 90 percent of the
23 animals died in the spill.

24 MR. BODKIN: It was up to 90 percent and that was
25 in Herring Bay, that's the only place that we -- well,

00076

1 that's the place I was at where I could count the number of
2 animals that we've removed and the number that remained.
3 In the broader area of all of Northern Knight Island, that
4 study area, we really don't know what the mortality was.
5 It's probable that it approached those values but there
6 were probably some refuges that remain in those areas as
7 well.

8 MR. BALSIGER: Well, my point was, and maybe now
9 your explanation makes my point go away but it sounded like
10 90 percent of them died but now we're at half the level
11 that there was prior to the spill but they're not
12 increasing. So does that mean those animals came in from
13 some place else or how did you get from only 10 percent
14 left alive to now 50 percent?

15 MR. BODKIN: I think that my -- part of the answer
16 could have been in my explanation that mortality was -- the
17 maximum that we saw was -- approached 90 percent. We also
18 know that there's apparently continual immigration of
19 animals from the outside. Young animals that are probably
20 looking for territories, home ranges to establish. And the
21 results of our marking and recapturing suggest that those
22 animals aren't surviving. They're either leaving or
23 they're moving from the area. Now, how we got from --
24 let's say that there was 10 percent left, how we got from
25 10 to 50 percent is uncertain. We don't know. I would

00077

1 suspect that that 90 percent mortality was the maximum if
2 there was some higher level of say residual sea otter
3 population but we don't really know what it was.

4 CHAIRMAN GIBBONS: Any other questions?

5 (No audible response)

6 CHAIRMAN GIBBONS: Thank you, good presentation.

7 Looks like we have an executive session. What's the topic
8 for the executive session, Molly?

9 MS. McCAMMON: Craig, you have a question.

10 MR. TILLERY: Mr. Chairman?

11 CHAIRMAN GIBBONS: Yes, Craig.

12 MR. TILLERY: I would move that we go into
13 executive session for purposes of doing the executive
14 director evaluation and for seeking advice of counsel on
15 legal issues.

16 MS. BROWN: Second.

17 MS. McCAMMON: And lunch.

18 CHAIRMAN GIBBONS: And lunch. Okay, we have a move
19 and second, all in favor say aye.

20 IN UNISON: Aye.

21 CHAIRMAN GIBBONS: Opposed?

22 (No audible response)

23 CHAIRMAN GIBBONS: Closed.

24 MR. TILLERY: What time?

25 CHAIRMAN GIBBONS: How about 1:15?

00078

1 MS. McCAMMON: We should be able to do 1:00, I
2 think.

3 CHAIRMAN GIBBONS: 1:00?

4 MR. TILLERY: People go and do things and make
5 phone calls.....

6 MS. McCAMMON: Yeah, 1:15.

7 MR. TILLERY: 1:15.

8 CHAIRMAN GIBBONS: We'll reconvene at 1:15.

9 (Off record - 12:15 p.m.)

10 (On record - 1:39 p.m.)

11 CHAIRMAN GIBBONS: Call the Trustee Council to
12 order. We've got continuing deferred projects to be
13 discussed for, I think for an hour so maybe I'll just turn
14 it over to Molly for a brief introduction.

15 MS. McCAMMON: Okay, just real quickly I wanted to
16 call your attention to a couple of things. Just as a
17 reminder, in August the Council deferred action on 25
18 projects totalling a little more than two million dollars.
19 I'm now recommending that 16 of these projects totaling
20 1,378,900 be funded and that three -- well, I guess that's
21 total-- and that three additional projects totaling
22 235,000 be deferred further. In addition there is \$47,900
23 recommended for funding for the Lower Cook Inlet Waste
24 Management Plan outside of the Work Plan cap. So the total
25 December recommendation for today is 1,426,000. This would

00079

1 bring the Work Plan total to a little more than 4,700,000,
2 which is a little bit under the five million dollar cap for
3 this fiscal year.

4 I also wanted to note that Spreadsheet A is the
5 numbers spreadsheet and Spreadsheet A is also the text
6 spreadsheet. The text spreadsheet should be Spreadsheet B
7 but it was mistakenly called Spreadsheet A. So we have two
8 Spreadsheets. And I'm glad I noted that after you did my
9 evaluation, hopefully.

10 I also wanted to note just a few -- make sure you
11 saw a few of the public comment that we received. One from
12 Cordova District Fishermen United, which was on the Ken
13 Adams project proposal and I can't remember the number on
14 it now.

15 MS. SCHUBERT: 02-636.

16 MS. McCAMMON: What is it?

17 MS. SCHUBERT: 636.

18 MS. McCAMMON: 636. And then all of the
19 information from John French about proposal 02-674. There
20 is also a letter of support for a contribution to PICES for
21 work on their North Pacific ecosystem status report and
22 there is \$10,000 included for that in the 630 GEM planning
23 budget. And those were the only pieces of public comment
24 that we received on the Work Plan. And with that, we do
25 have Bob Spies here to go through cluster by cluster. And

00080

1 what we would do is go through just in order of the
2 projects that you have. Typically, as we've done in the
3 past, we go through the projects that are proposed for
4 funding or deferral and we haven't talked about the ones
5 that are do not fund. And so as we go through each
6 cluster, we can ask you if there's anything in particular
7 about a do not fund that you wanted to bring up and ask why
8 or for further information.

9 MR. TILLERY: Mr. Chairman.

10 CHAIRMAN GIBBONS: Yes, Craig.

11 MR. TILLERY: Just to clarify one point, you talked
12 about the five million cap for the Work Plan and then the
13 Work Plan and administrative costs is 6.5. So is the 1.5
14 administrative costs including.....

15 MS. McCAMMON: Yes, and that was already approved
16 in August, yes.

17 DR. SPIES: Okay, you'll note in your spreadsheets
18 that we're continuing to use the new classification system
19 for projects and these are kind of loose categories. In
20 some cases the projects don't exactly fit or perfectly fit
21 but we find it convenient, since we're in this transition
22 between the restoration program proper for the first 10
23 years after the settlement into the GEM program that these
24 new categories seem to make a lot better sense rather than
25 having huge amounts of projects in the GEM transition

00081

1 category that we had previously that we've now got a number
2 of GEM transition type project categories.

3 The first group of projects is under oil injury
4 category and there's three projects here for a total of
5 \$448,000. The first of the projects is Project 190, it's
6 recommended to continue. This project is the culmination
7 of a six-year effort to map the pink salmon genome, a
8 number of traits that can be mapped onto the pink salmon
9 genome. And then to use this information, look at the
10 survival value of these gene combinations. There was
11 experiments done in 1998 and 1999, crosses in Alaska
12 SeaLife Center, those fish went out to sea and they had
13 returned the summer of 2000 and the summer of 2001. And
14 this project is to analyze the 2001 returns. The 2000
15 returns, there was some problems with the water flow, if
16 you recall, in the fish passway at the SeaLife Center. And
17 the effort this last summer was to try to get out there and
18 make a very aggressive collection effort with public
19 notification to try to recover as many of those returning
20 pink salmon as possible. The investigators had set up kind
21 of a goal of getting 200 pink salmon in order to be able to
22 really analyze the survival traits -- the survival of
23 various kinds of traits in the environment and they
24 actually got 262. They put a good successful field effort
25 in so we feel good about recommending that this proposal go

00082

1 forward given this number of fish and we think we can
2 achieve all the project's objectives in the coming year.
3 They may come back and ask for a little bit of final report
4 funding, we're not sure yet, but hopefully get most of it
5 done in fiscal year '02.

6 The second of the projects in this category is a
7 method to discriminate herring stocks. And this was
8 deferral of, I believe it was 27K and we were still in kind
9 of a deferral. We're recommending this go forward but we
10 want a contingency here that we're able to look at the
11 results of the 2001 analysis. And if you'll recall, this
12 is -- try to look at new ways of trying to discriminate
13 herring stocks in the Prince William Sound region using
14 micro element composition of the otoliths, the inner ear
15 bones and also the fatty acids using heart tissue and free
16 fatty acid residues. This project would get then at the
17 whole idea of how many stocks of herring do we have in
18 Prince William Sound. So that's a small amount of money,
19 we're recommending that that fund contingent -- that it be
20 funded contingent on successful review of the first set of
21 data analysis from the spring 2001 samples.

22 The next project is 585. You heard about this
23 project this morning in the lingering oil session that we
24 had. What we're doing is shutting down project 543 and
25 recommending beginning 585. And this would include the

00083

1 follow up on 543 and also the additional work that would
2 look at the biological components availability of this oil
3 low in the intertidal and how it's passed up to the prey
4 and any evidence of lingering injury, particularly focused
5 on the prey of harlequin ducks and sea otters and harlequin
6 ducks and sea otters themselves. And again, the idea here
7 is to focus these studies geographically in the same areas
8 so that we can make a better determination of the potential
9 linkage between remaining oil and evidence we have of
10 continued potential injury to these valuable resources.

11 The next category is the spill recovery monitoring.
12 There's two projects in here. The first is Project 159 and
13 the Fish and Wildlife Service had asked for money to
14 continue these boat surveys that you recall we've done
15 quite frequently over the restoration program. The last
16 one was done in 2001 but we did have quite a fairly dense
17 run of these things in '89, '90,
18 '91 and then a number of them in the middle 90s. We also
19 have data that go back into the '70s and '80s and was the
20 basis for a kind of -- see these long-term shifts after the
21 -- we had shifts after the spill that could have been due
22 to long-term changes in the environment or to the spill
23 injury. The data is getting to be a quite valuable data
24 set because it goes back into the seventies, it's back
25 about 30 years now. And we would like to -- we've never

00084

1 seen a final report but we would like to see kind of all
2 the data analyzed and interpreted carefully with regard to
3 oil injury and effects of climate because we think -- and
4 investigators think that there's pretty good evidence for
5 decadal scale shifts in the populations of all these birds
6 and mammals, mainly sea otters that they're looking at in
7 Prince William Sound.

8 The other thing we would like to see done within
9 the context of the final report is trying to identify a set
10 of measurements or a sampling strategy to allow us to get
11 kind of a low frequency, low cost sampling approach for the
12 GEM program. And so we're asking for these things and
13 rather than going out and doing another survey -- we just
14 did one in 2000 -- rather than doing another one this year,
15 we're asking that they write the final report, identify a
16 strategy for long-term monitoring. We don't think we're
17 going to lose much data by skipping a year or two or even
18 three. Most of these trends that we see are very long-term
19 time scales and the principal investigator pretty much
20 agrees with that approach.

21 The second of the spill recovery monitoring
22 projects in this category is a request for 95,000 to do a
23 first year of a two-year study on bivalve recovery. One of
24 the indicators of continuing injury in the intertidal is
25 the lack of clams and other bivalves. And essentially

00085

1 these are on cobble beaches that had sand and finer grain
2 material down on the interstices between the rocks and
3 during the cleanup you see in these aerial pictures, you
4 see these big plumes of material off the beach. And so
5 lost a lot of silt and sand and apparently those beaches
6 have not been renourished with that kind of fine grain
7 material and these worms and clams have not settled back
8 into there. So that's the idea here, the last set of data
9 we have is actually from the NOAA hazmat study, which has
10 been going along in parallel with some of our injury
11 studies done in 1997. The idea here is to take a wider
12 objective, the NOAA studies are on particular identified
13 beaches and we can't really extrapolate the results to the
14 entire Sound. You've got to do a low cost study to
15 extrapolate these results, focusing on the bivalve
16 populations, see if in fact there has been recovery since
17 '97.

18 The next category is the ecosystem recovery and
19 function and we only have one project in there and that's a
20 modest request for 2K to print the SEA bound report. The
21 SEA program was one of the flagship programs of the
22 restoration program. A large seven-year effort to document
23 effects on pink salmon and herring larvae from various
24 kinds of conditions in the Sound, focused on trying to
25 bring something down that's useful in terms of

00086

1 understanding the system and its production of pink salmon
2 and herring. So this is money well spent to kind of put a
3 cap on that printing of the SEA final report. Now, there
4 is, by the way, finally acceptance in Fisheries
5 Oceanography of all the constituent articles for a special
6 volume of that journal dedicated to SEA results. People
7 have worked very long and hard to complete that under
8 relatively low funding. So that's something we can look
9 forward to receiving soon and it's a real milestone, I
10 think, in our program.

11 Molly talked about this next project which is
12 grouped under the spill general restoration, that's the
13 lower Cook Inlet Waste Management Plan. That's an off Work
14 Plan request for I think it's 50K. And to get that program
15 moved along and back on track. The next.....

16 MS. McCAMMON: Let me just make one note here, Bob.

17 DR. SPIES: Yeah.

18 MS. McCAMMON: There was 800,000 set aside for this
19 project originally and phase I had been a contract with
20 Montgomery Watson to do a needs assessment in Port Graham,
21 Nanwalek and Seldovia. We've received the report, it was
22 peer reviewed and then we started trying to go through the
23 process of implementing it this year and it turns out in
24 that time there's been some personnel changes at DEC. We
25 met with the other staff. It turned out that a lot of the

00087

1 folks at DEC had not been fully integrated into the
2 original planning part of the process nor had the Kenai
3 Peninsula Borough. And so what became apparent in our
4 discussions was that we needed to really go back, take that
5 report from Montgomery Watson, go back to the communities
6 with DEC and with the Borough staff and with Chugach
7 Regional Resources Commission and reassess those needs that
8 were in that original report. I think there was things in
9 it that probably were things that if money was available,
10 yeah they would do them but really might not be essential.
11 And so we worked with all the parties to come up with this
12 revision. So they will make site visits, all the parties
13 will go out there, make site visits, spend a few days with
14 the communities and then come back with possible requests
15 for additional funding or not, depending how the case may
16 be. There was a little bit of concern by DEC also because
17 this requires doing a small contract with Chugach Regional
18 Resources Commission. There was concern about the staff
19 time to do that. There really is no other entity to do
20 that contract. The Borough isn't in a position to do it.
21 It doesn't make sense for Fish and Game to do it. We will
22 have staff here to assist with that to try to make it as
23 easy on DEC as possible. But I did want to note that this
24 is quite a bit different than I think when we had reported
25 out to you last May or June.

00088

1 MR. BALSIGER: This is not a different project so
2 maybe.....

3 MS. McCAMMON: No. Okay.

4 MR. BALSIGER: Dr. Spies, you skipped over,
5 probably intentionally, the do not fund one, which was the
6 avian predation one.

7 MS. McCAMMON: The Mary Anne Bishop one.

8 DR. SPIES: Yes, yeah.

9 MR. BALSIGER: And my question was, we have the
10 typical format here where there's a project abstract which
11 looks like the same as we saw before but these
12 recommendations now are new -- on this particular sheet,
13 this isn't what the chief scientist's or the executive
14 director's recommendation was when we looked at this
15 before, is it?

16 MS. McCAMMON: In August the original
17 recommendation was to defer, lower priority, and now we've
18 come back at this time and said, lower priority, do not
19 fund.

20 MR. BALSIGER: Okay, that was my question. If
21 these sheets were redone or was it just an exact photocopy
22 and you're telling me that it's redone to reflect the
23 current recommendation.

24 MS. McCAMMON: The current recommendation, yes.

25 DR. SPIES: Right.

00089

1 MR. BALSIGER: Thank you.

2 DR. SPIES: I should have been clear when I
3 started. What we're showing here are the projects we're
4 recommending for funding, with one exception which is the
5 pigeon guillemot study, which we want to explain a little
6 bit due to the interest in that particular project. Okay.

7 MR. RUE: Mr. Chairman, before we go on. Did we
8 decide we were going to go through the entire list and then
9 come back to the ones we want to talk about? Or did you
10 want to talk about any of these?

11 MR. BALSIGER: No, I was just curious to know what
12 I was reading, rather than debate any issues right now.

13 MR. RUE: All right. We're going to wait.

14 DR. SPIES: I'll be pleased to proceed either way,
15 either ask for questions as they occur to you or wait until
16 the end.

17 MR. RUE: I'd just as soon ask them as we go.

18 DR. SPIES: Feel free to interrupt me, if you wish.

19 MR. RUE: I'd just as soon, if I have -- ask as
20 you're going.

21 DR. SPIES: The next category -- we're getting
22 started on a series of categories labeled GEM transition
23 and this one is strategies to improve monitoring. And we
24 have a deferral recommended on Project 556. The project is
25 to map marine habitats and the idea here is to use a

00090

1 sampling that was developed on the PISCO program. There's
2 actually a program that goes all the way from Southern
3 California all the way up to the Gulf of Alaska and
4 somewhat into the Bering Sea. And this is a large scale
5 program looking at the nearshore consequences of long-term
6 anthropogenic and climatic changes on these systems. And
7 we had another set of -- that's Carl Schoch that's heading
8 up this effort down in Kachemak Bay area and the NERRS.
9 And Molly referred to another effort in Prince William
10 Sound, we have intertidal nearshore biologists,
11 particularly Tom Dean and we had two separate proposals.
12 We have some, if you recall to do recommendations
13 to come together and try to formulate some kind of a
14 strategy. So they held some preliminary talks and there's
15 going to be a workshop on the third day of the annual
16 meeting to discuss the whole strategy of the nearshore and
17 intertidal habitats and the GEM program and how to look at
18 long term changes in those particular habitats. This
19 project is being recommended for deferral until after those
20 workshops are completed. The idea here on the project
21 again is to, since the -- you go up along the shoreline,
22 you see a point, you'll see a sandy beach, you'll see a
23 little cove and so forth. And so you got to be -- when
24 you're looking at change, you have to be sampling the same
25 kind of region every time, particularly in a random

00091

1 sampling effort. The idea is to identify the strata for a
2 stratified random sample by being able to map on a meso
3 scale some of these features along the Kenai coast where we
4 want to be doing this work.

5 The next project is the controversial one that you
6 heard public testimony on and this is Project 674, the
7 pigeon guillemot restoration techniques project for 64K.
8 You voted to approve this project back in August and
9 subsequent to that time one of the principal investigators
10 came back and said, gee, we've got some pigeon guillemots
11 showing up down in Resurrection Bay in numbers larger than
12 we originally anticipated. We would like to refocus the
13 program more on looking at those. The other investigator,
14 French -- this is doctors Divoky and French -- could not
15 agree on how to go forward in this project. We essentially
16 kind of had a deal based with the Trustee Council -- with
17 these investigators based on what was in that original
18 proposal and we had a qualified bird biologist and John
19 French has had a lot of experience, a Ph.D himself, has a
20 lot of experience in the field. And this project was
21 originally recommended for approval by the reviewers based
22 on the strength of their credentials and the history of the
23 project. It was not a really high priority project in
24 terms of the Work Plan but it made the cut.

25 Since we now do not have Dr. Divoky in this

00092

1 proposal, we don't feel it has the strength to carry on.
2 Any kind of other funding agency that would fund research
3 on seabird biologists, you'd expect to see a published,
4 recognized seabird biologist leading it up. And Dr. French
5 disagrees with that assessment of the reviews but that's
6 our recommendation. It's regarding the point as to whether
7 we can miss an opportunity here. Pigeon guillemots are a
8 long-lived species and the reviewers feel that if we did
9 feel that there was high enough priority to following up on
10 some of these returning birds in fiscal year 03 that the
11 project could be resurfaced at that point.

12 The next category in GEM transition is tools to
13 improve monitoring. And we have two projects here
14 recommended for funding. The first project is Project 584,
15 this is a request for \$75,000. The principal investigator
16 had requested \$280,000 for year two of the project and we
17 kind of want to wait on the recommendations to kind of wait
18 on that larger number but to get the first year going. And
19 I think there may be, because of the intense interest in
20 the kinds of synoptic work that's being proposed under this
21 and the potential funding partners that are out there and
22 working in the North Pacific that we might see some cost
23 sharing. And at the end of the first year it might become
24 clearer what kind of sources of money are available to kind
25 of share the cost of this relatively expensive project in

00093

1 out years. It's essentially trying to establish some new
2 tools here and they're really sampling different parts of
3 the electromagnetic spectrum in terms of -- there's a high
4 frequency light, the LIDAR, that can penetrate and get
5 images of things down to about 50 meters. And there is
6 some infrared and the video work that's going on and some
7 infrared video work that helps with the sea surface
8 temperature and chlorophyll in birds and mammals, also
9 being synoptically done. And we think it's got a lot of
10 promise for this and we can -- particularly all these
11 physical characteristics between environment and the
12 biological activities that take place that are not normally
13 picked up with standard kinds of sampling techniques and
14 surveys. But this kind of large scale, synoptic data
15 collection could be very, very important in future
16 monitoring. So recommending a first year work on this
17 project for \$75,000.

18 The second of the two projects in this category is
19 Project 624. And this is a Ships of Opportunity program.
20 These investigators had two years' funding from the -- I'm
21 trying to get all the names straight but the North Pacific
22 Research.....

23 MS. McCAMMON: North Pacific Marine Research.

24 DR. SPIES: Marine Research, right. They had two
25 years of funding to get this technique under way. I think

00094

1 we need a few more years of proof or principle to -- and
2 this is a potentially really wonderful program for the
3 North Pacific. There's data being reported already and
4 this really builds on a system and approach that was
5 developed first in the North Atlantic Ocean for looking at
6 distribution of plankton and the original samples were
7 taken back in the thirties. And we have sixty-some years
8 of data from the North Atlantic on Ships of Opportunity
9 where they're towing these plankton nets and they have this
10 gauze that rolls back and captures things. And they
11 preserve the gauze and they pick the animals out. And
12 they're able to kind of show maps of the North Atlantic and
13 show the distribution of different species of plankton,
14 which are really the base of the food web in North
15 Atlantic, and look at how they've changed over time and
16 relate those to changes in climate and so forth. It's a
17 wonderful data set and just a tremendous way to understand
18 long-term changes in the ocean. So we think there's a lot
19 of potential.

20 The first two years of the project they are putting
21 these hardy plankton recorders, as they're called, on the
22 oil tankers going down from Valdez to Long Beach. And this
23 is to continue that and we think it's a great opportunity
24 for the GEM program. There's also a related project, I
25 forget the number, but it was proposed by Steve Okkonen to

00095

1 put sea chests on these same tankers to record sea surface
2 temperature and salinity, which would be useful data and
3 also chlorophyll A, which gives you the phytoplankton
4 component that these plankton nets don't pick up. They're
5 coarser nets and they picked up the zooplankton. So that's
6 \$120,000 request that we're very high on -- we recommend
7 that highly to you for funding.

8 MR. RUE: Dr. Spies, before you go on. On the
9 improved monitoring, the LIDAR and those others, NASA was
10 in town trying to get people interested in some of these
11 things. Is there a chance to co-op with NASA on some of
12 these things?

13 DR. SPIES: Yeah, the principal investigator is
14 Evelyn Brown, who you know I'm sure, and she has been
15 working both with NASA and NOAA and other agencies to --
16 everybody is kind of interested and kind of converging on
17 this. So we're hoping with this first year of funding that
18 they'll move that train down the track and we'll be able to
19 kind of see who the potential partners are for year two of
20 that.

21 MR. RUE: So for year two she's looking at
22 partners?

23 MS. McCAMMON: Yes.

24 DR. SPIES: Yeah, yeah.

25 MR. RUE: Okay.

00096

1 MS. McCAMMON: She has partners for this year
2 already.

3 DR. SPIES: Right.

4 MR. RUE: Oh, she does?

5 MS. McCAMMON: I think she has some NASA funding
6 already for this year.

7 MR. RUE: Oh, really?

8 DR. SPIES: Right.

9 MS. McCAMMON: Yeah.

10 DR. SPIES: Okay, the next GEM transition category
11 is synthesis and.....

12 MS. McCAMMON: Retrospective analysis.

13 DR. SPIES: Yeah, I'm just trying to find my notes
14 on this one. Here it is, yeah. GEM synthesis
15 retrospective analysis. This is a -- three projects in
16 here. The first project is actually one that I'm actually
17 proposing to the Trustee Council. It's to do a book on
18 what we've learned during the whole restoration program in
19 terms of the scientific aspects of the ecosystem, dealing
20 both with what we've learned about the ecosystem and what
21 we've learned about the spill and its long term effects.
22 So it's got both those components in it. It was deferred
23 early in the Work Plan with a couple of concerns. We've
24 addressed those concerns. The main one was whether I'd
25 have time to do this or not and Molly asked for a

00097

1 spreadsheet and so forth. We talked it over and I proposed
2 spreading this project out over three years instead of two.
3 I won't talk about a recommendation, obviously that's kind
4 of a little bit of a conflict of interest but Molly could
5 address it if you've got questions in terms of a
6 recommendation or review. I did not do the review on the
7 project myself.

8 The next project in that group is Project 622 and
9 this is a request for a small amount of money, \$36,000, to
10 conduct the project. It's actually taking the
11 environmental sensitivity maps that are available for Cook
12 Inlet and Kenai Peninsula and putting them in digital form
13 and making them available on the Web. ESIs come out of
14 kind of the oil spill things that happened originally in
15 the Eschtok (ph) spill. Jackie Michele back in the late
16 '70s, the oil was kind of racing towards the beaches of
17 Texas and the idea was, what are the resources that are out
18 there at risk and how can we kind of map those out for
19 everybody to understand what's involved in the process. So
20 they do things like marine mammal congregations and
21 haulouts and bird colonies and shellfish beds and human use
22 areas and hatcheries and so forth. And put those on maps
23 so that -- those are pretty valuable compilations of data.
24 They're not the highest level of scientific data but they
25 give a nice geographic overview and specific locations of

00098

1 aggregates of valuable resources. We're recommending this
2 project for funding. It's kind of a lower priority but it
3 made the cut in our recommendation.

4 The last of these group of three in this particular
5 category is Project 636 for 50K. You've heard the
6 testimony of Ken Adams this morning. That was a proposal
7 put in by him and Ross Mullins, two Cordova fishermen. And
8 their interest is in taking the products of the SEA Program
9 that we have these models. We've got about four or five
10 different models that deal with circulation of the sound
11 where the zooplankton is. What the shape of the -- or what
12 the primary production in zooplankton bloom is going to
13 look like based on sea surface temperature and in depth
14 density measurements of the water column and wind fields
15 and so forth. So there's a number of these different
16 products that came out of SEA but they haven't actually all
17 been taken all the way to the ground in terms of what's
18 useable by the fishermen. And when we first started the
19 SEA it sounded like it was going to be easy to figure out.
20 Well, we'll have these products and they'll be useable but
21 when you actually start to think about how we can actually
22 use these things, it's not as simple as it first looks.
23 And Ken and Ross have been particularly interested in the
24 SEA project as it's gone along and would like -- they're
25 kind of a voice in the fishing community saying we want to

00099

1 be able to take these to the ground, get together with the
2 scientists.

3 The first proposal we got didn't -- it was fairly
4 general and it wasn't really clear exactly what they
5 wanted, which probably had to do more with the difficulty
6 of approaching the subject matter than anything else.
7 We're suggesting or recommending that this project be
8 funded but we'd like to see even a further revision beyond
9 the second revision. We think we need to identify
10 particular workshops or things that will happen in a
11 specific -- specifically designated in a revised proposal.
12 And we think maybe several workshops, getting together to
13 see where we go from here in terms of what the fishing
14 community can use, what the scientists have available at
15 the end of the SEA program.

16 The next transition category for GEM is the long-
17 term monitoring. And there's four projects in here.
18 Project 552 is the continuation of a long-term effort in
19 Hinchinbrook entrance in Prince William Sound to measure
20 the currents. And the idea here is trying to get at the
21 exchange of water between Prince William Sound and the Gulf
22 of Alaska. This we feel is a very important part of
23 understanding potential change in the production of Prince
24 William Sound and its biological health. And we've been
25 taking these measurements throughout the SEA program,

00100

1 supplemented occasionally by other efforts that have gone
2 along. A couple things could probably be improved through
3 the review process. The physical oceanographers have
4 identified a larger effort than we actually think we can
5 afford to fund right now so we want to maintain at least
6 this effort to get some long-term data because the current
7 acoustic doppler current profile that they have, it
8 measures the bottom of the water column but it doesn't get
9 an upper 40 meters. There's some real significant
10 obstacles to doing that, including the ship traffic.
11 Investigators were able to move the buoy over to the side
12 of Hinchinbrook entrance to avoid some of those problems
13 but the probably ideal thing would be to have a number of
14 buoys out there and some surface radar installations and so
15 forth. There's a lot of people -- a lot of different
16 entities interested in this, a request for qualifications
17 for the Regional Citizen's Advisory Council right now in
18 Prince William Sound. Then we have a conference call
19 tomorrow to talk about the qualifications of the proposers.
20 So there's a number of them and then there's Dave Musgrave,
21 University of Alaska, Fairbanks, who's got a salmon project
22 on the university internal funding to look at some of the
23 same oceanographic processes. So I think we're going to be
24 able to add things on to this project as it goes along.
25 The buoy was redeployed for nine months in early November

00101

1 so essentially the buoy is in place and we're recommending
2 that the \$102,000 to continue these measurements is a
3 valuable contribution to the ongoing understanding of long-
4 term changes in the oceanography of this area.

5 Project 603 is the second in this group of projects
6 under long-term monitoring. It's for 80K and it's for an
7 ocean circulation model for an area broader than Prince
8 William Sound. There's a couple of models that are working
9 now in Prince William Sound and some ongoing efforts at the
10 Prince William Sound Science Center under the Oil Spill
11 Recovery Institute to do some more modeling. There's an
12 in-place model that was developed by the Trustee Council
13 funding. It was developed both by Chris Moores and then
14 refined by Jia Wang. But the same proposal here, Jia Wang
15 is proposing here to build a larger scale oceanographic
16 model of the Gulf of Alaska, using tides, winds and fresh
17 water input mainly. And I think a key to setting the
18 boundary conditions for models -- because crucial to the
19 outcome of these models is what conditions that the margins
20 of your geographic area and the boundaries of the problem
21 and it will be important to have a wider scale circulation
22 model and it develops an in-state capability and maintains
23 that as well. It's a relatively modest request considering
24 the size of the work that's being undertaken here. The
25 request is for 80K and I'm recommending that this project

00102

1 go forward.

2 Project 667 is a request for 1.2 thousand dollars
3 and.....

4 MS. McCAMMON: It just corrects an error that was
5 made in the August number.

6 DR. SPIES: Corrects an error, yeah. Yeah, it's a
7 correction of an error that we originally -- I think you
8 voted to fund this project back in August.

9 Again going back to this nearshore GEM process,
10 Project 681 is a deferral. It's to actually develop a
11 inshore, nearshore and intertidal monitoring program for
12 GEM. This is a \$50,000 request and again, we hope after
13 the workshop in January that this project will go forward
14 and we're deferring it until after everybody can get
15 together and kind of hash out what we really need to do in
16 the nearshore area.

17 And two more categories to go here. Data
18 management and information transfer. There's a request for
19 16K under Project 668. And this is by the Cook Inlet
20 Keeper. And the idea here is to provide some funding to
21 help evaluate how effective the citizen monitoring program
22 is and to start to look at quality assurance. The biggest
23 barrier to getting community involvement in a lot of these
24 potential GEM program activities is going to be the
25 acceptance of the data that is gathered by citizens and

00103

1 volunteers. And so this project is directly focused on
2 that hurdle. And it will be evaluating data that's been
3 taken and looking at the quality control.

4 The last two projects are grouped under the
5 community involvement public outreach. Project 052 is a
6 community involvement project. It's a longstanding project
7 with the Trustee Council. It's being recommended for
8 deferral. And I think that the thinking here is to
9 reevaluate kind of the goals of this particular project
10 given that fact that the objectives in the Native
11 communities have changed over the years and there's more
12 emphasis on the tribes kind of co-managing their own
13 resources. And I think the thinking here, and Molly can
14 certainly comment on this better than I, that we need to
15 kind of reevaluate where this project is and possibly
16 redesign it. And there's some issues also with the late
17 reports and the reporting problems with this project.

18 And the last project for your consideration today
19 is Project 630. It's a request for \$240,000 and it's
20 essentially the funding to get the GEM program in place.
21 So it's a funding for staff efforts here and time for the
22 staff to get these proposed committees together, get the
23 nomination process for the Scientific Advisory Committee
24 together and so forth, assuming that the NRC and your
25 concurrence, so we're moving along the right road here. So

00104

1 we're planning ahead for the rest of the year and this is
2 the estimated cost for that.

3 So that concludes my comments. I'd be pleased to
4 answer any questions.

5 MR. RUE: Whirlwind tour.

6 CHAIRMAN GIBBONS: Any questions? Michele.

7 MS. BROWN: It's not a question. Thank you, Dr.

8 Spies. That was well done and I agree with Frank's
9 whirlwind tour. I just wanted to express some support for
10 some of the -- at least two of the synthesis projects that
11 are on here, 2600 and 2636. And the idea of really trying
12 to pool together years and years worth of research and
13 figure out ways to put that to use that people, you know,
14 the Cordova fishermen, their letter was persuasive about
15 the need to put some of this information to use. So I just
16 wanted to put in a good word for those two projects in
17 particular.

18 MR. RUE: Those were both recommended for funding.

19 MS. BROWN: Yes.

20 MR. RUE: Right.

21 CHAIRMAN GIBBONS: Jim.

22 MR. BALSIGER: I guess on that same project, I
23 think that the synthesis 2600 was deferred until we could
24 figure out how Dr. Spies' other duties are going to be
25 covered. So is there any -- can you tell us how you intend

00105

1 to do that?

2 MS. McCAMMON: He mainly -- the original proposal
3 was to do it all within two years and so we basically
4 scoped out what he needed to do this year and then next
5 year, in terms of bringing in particular the oil spill
6 injury part of the program to a conclusion and also the
7 transition of managing the peer review process from his
8 office back to our office in Anchorage. And so between
9 that, by spreading it out over three years, we looked at
10 all of his hourly time for all of the things he was
11 expected to do and he figured that he had enough time in
12 the week to do that. So that was the main difference was
13 by doing it over three years.

14 MR. BALSIGER: Two to three years. And so the peer
15 review management would be overseen in your office here by
16 you?

17 MS. McCAMMON: Yes. Or by contract, we haven't
18 decided that completely but it would managed out of this
19 office rather than out of Bob's office in Livermore.
20 Although he would be continuing the conclusion of the oil
21 spill part of the program until that's done because it
22 doesn't make sense to change the peer review of those
23 particular projects. But those are becoming smaller in
24 number and will phase out within the next couple of years.

25 CHAIRMAN GIBBONS: Craig.

00106

1 MR. TILLERY: Yeah, one of the projects that was
2 recommended for not funding is 680, which is persistent
3 organic pollutants.

4 MS. McCAMMON: Page?

5 MR. TILLERY: Page 18. I mean, it looks like it
6 says, good effort, qualified investigators -- it's a very
7 important topic. I guess it looks like the only reason
8 it's not funded was because you couldn't find somebody else
9 to throw in money, it's not recommended. And my question
10 will be, what are we doing to try to connect with other
11 groups that might support this kind of study and when -- do
12 we think this might be ready for next year?

13 MS. McCAMMON: I think it could potentially be
14 ready for next year or the year after. What's happening is
15 that within all of the departments and agencies statewide
16 there is a huge amount of attention right now on POPs.
17 There is money that the park services receive, that Fish
18 and Wildlife Services receive to do similar kinds of
19 studies. There's supposed to be 3 million dollars in the
20 Federal budget for the State to start a program on
21 contaminants. So there's a lot of effort, there's efforts
22 to start coordinating that and where our niche is is very
23 unclear and what role the GEM program will play. We know
24 that contaminants will be an important part of our long-
25 term program but we don't know exactly how and where yet.

00107

1 And so it seemed prudent given that there are all these
2 other kind of uncoordinated efforts at this time, to
3 participate in this effort to try to coordinate things and
4 then come out with more of a deliberate plan at some point
5 in the future.

6 MR. TILLERY: Are any of these symposiums going to
7 try to sort that out?

8 MS. McCAMMON: We don't have anything in
9 January/February particularly -- although when we look at
10 nearshore -- when we look at all the various habitats and
11 start working on those habitats and what needs to be done
12 in each one, contaminants is an issue in each of those
13 habitats. So it will be looked at and examined from that
14 perspective. So it could very well be when we do the
15 second phase invitation in September that contaminants
16 could be part of it. Right now our focus on contaminants
17 is oil spill injury. That is where we're devoting most of
18 our time in terms of contaminants and pollution. We do see
19 that phasing out over time. And that's where POPs and
20 other efforts would probably come in at a higher level.

21 MS. BROWN: Yeah, I picked up on that one as well,
22 too. I mean, at DEC we have a modest \$300,000 effort going
23 into some similar monitoring so I made a note to get in
24 touch with them and see if there's some way that we could
25 come up with a common research plan. That would leverage --

00108

1 here is other matching funds in the sense of common work
2 going on.

3 MS. McCAMMON: Well, one of the reasons, I mean, if
4 you go back to what our recommendation is for today, it is
5 underneath the cap by not quite \$300,000 and yet we're
6 recommending certain projects not be funded as lower
7 priority. And one of the reasons for that is that we are
8 at a real crossroads in terms of opportunities for
9 partnering and leveraging with all kinds of entities and
10 different activities like POPs. North Pacific Research
11 Board may have some activities that they'll try to get up
12 and running in February and March. And so this does have --
13 also sets aside a certain amount of money for some
14 potential partnerships that might develop in the next six
15 months. So it gives the opportunity to come back for some
16 things like that.

17 MR. RUE: Now you've piqued my interest.

18 MS. McCAMMON: Uh-oh. I shouldn't have said that.

19 MR. RUE: I know. Maybe which ones are you
20 actively pursuing or are you being actively pursued on?

21 MS. McCAMMON: Which ones are we?

22 MR. RUE: Yeah.

23 MS. McCAMMON: Nothing.

24 MR. RUE: Nothing is being active -- there's no
25 action. Okay.

00109

1 MS. McCAMMON: No, it's just kind of out.....

2 MR. RUE: We know there's stuff out there.

3 MS. McCAMMON: There's stuff out there.

4 MR. RUE: That sounds like Michele's about to do
5 some active pursuing. Okay.

6 MS. McCAMMON: Maybe that was active pursuit right
7 there.

8 CHAIRMAN GIBBONS: Jim.

9 MR. BALSIGER: This will demonstrate how long I can
10 remember things because I asked this morning, is this Work
11 Plan numbers we're looking at administration or just
12 projects and you assured me it was all of this. Now this 5
13 million cap set by the Council, that's project work or
14 whatever and that doesn't include the operation of your
15 office here because you said that was six and a half.

16 MS. McCAMMON: You set a cap of six and a half
17 million and you've already approved one and a half million
18 for administration operating so that leaves five million
19 for projects, yes.

20 MR. BALSIGER: Okay, thank you very much.

21 CHAIRMAN GIBBONS: Any more questions? Mr.
22 Tillery.

23 MR. TILLERY: Yeah, I had a question on the pigeon
24 guillemot thing. One of the concerns was whether -- the
25 argument was made that this would be a lost opportunity and

00110

1 you said it wouldn't, the birds live a long time. But I
2 sort of thought the argument that was being made wasn't
3 that they were going to die but that they were going to go
4 somewhere else. That they might not stay in this
5 artificial environment and they go somewhere else. Is that
6 a concern?

7 DR. SPIES: They recruit back over a number of
8 years, the ones that were released from the SeaLife Center
9 and the reviewers feel that there will be enough birds out
10 there in '03 to be able to do things nearly as well as in
11 '02. Now Dr. French disagrees with that point but that's
12 another issue.

13 CHAIRMAN GIBBONS: Any other?

14 (No audible response)

15 CHAIRMAN GIBBONS: No? You look puzzled.

16 MR. TILLERY: No.

17 CHAIRMAN GIBBONS: Okay.

18 MR. TILLERY: I mean, I'm sure I am but.....

19 CHAIRMAN GIBBONS: Well, do we have a motion?

20 MS. McCAMMON: There is a -- we do have a motion
21 and we do have a motion here. And the motion says the two
22 -- the two spreadsheets say.....

23 CHAIRMAN GIBBONS: Take a moment to read this.

24 MR. TILLERY: Mr. Chairman.

25 CHAIRMAN GIBBONS: Mr. Tillery.

00111

1 MR. TILLERY: I move that the Trustee Council adopt
2 the recommendations for FY02, defer projects as outlined in
3 spreadsheets A dated December 3rd, 2001 and spreadsheet B
4 with the following conditions: one, if the principal
5 investigator has an overdue report or manuscript from
6 previous year, no funds may be expended on a project
7 involving the PI unless report is submitted or a schedule
8 for submission is approved by the executive director and
9 two, a project's lead agency must demonstrate to the
10 executive director the requirements of NEPA are met before
11 any project funds may be expended with the exception of
12 funds spent to prepare the NEPA documentation.

13 MR. RUE: Second.

14 CHAIRMAN GIBBONS: Any discussion?

15 (No audible response)

16 CHAIRMAN GIBBONS: All in favor, say aye.

17 IN UNISON: Aye.

18 CHAIRMAN GIBBONS: All opposed?

19 (No opposing responses)

20 CHAIRMAN GIBBONS: The motion passes. Where are
21 we? Habitat.

22 MS. McCAMMON: Habitat.

23 CHAIRMAN GIBBONS: The next topic on the agenda is
24 habitat activities and we'll start off with the status of
25 the current activities with Molly.

00112

1 MS. McCAMMON: In your packet you have two status
2 reports dated November -- small parcel status report dated
3 November 29th and the large parcel status report dated
4 November 28th. And I'll start with the large parcel
5 because it's simpler. Less activity on that one.
6 Basically there hasn't been any activity on the large
7 parcel front with the exception of the Koniag acquisition.
8 And we had anticipated that the original temporary
9 conservation easement on kind of the Upper Karluk River,
10 Koniag lands was set to expire December 2nd and we had
11 planned to have a bridge easement until next October when
12 the new 10 year easement would go into effect. That
13 easement is still not in place and so we're now working on,
14 I think, a bridge for the bridge easement for about two
15 months. We anticipate it will be about two months until it
16 gets completed. And there's no conflict between the
17 governments and between Koniag on it, it's just a matter of
18 getting the paperwork done. So it's just taking a little
19 longer than it was originally anticipated but it's still
20 under way. So that's all we have to report at that time.
21 There's no activity on the Lower Karluk -discussions with
22 the Karluk IRA Council. The IRA Council is still
23 considering what possible package they might come back to
24 the Trustee Council with.
25 In terms of small parcel status report, there's a

00113

1 number of tables before you just kind of showing you where
2 we are with all of these. Table 1 is the amount of funds
3 available. By your resolution March 1, '99, the Council
4 had designated 6.3 million for small parcels as outlined
5 with an additional 25 million for habitat protection
6 beginning October 1, 2002. And it shows, under Table 1,
7 how the various designations for that 6.3 million, with
8 about 270,000 as undesignated.

9 Table 2 includes all of the small parcels on which
10 the Council has made purchase offers and this is a total of
11 about 371,000 to purchase 128 acres. And all of these are
12 listed on here in kind of their various -- where they are
13 in terms of their status.

14 On Table 3 is the list of parcels under
15 consideration by the Council. In most cases these are ones
16 that appraisals were approved by the Council but you have
17 not yet authorized funding to purchase them. And they're
18 also included in Table 1.

19 And then Table 4 goes through all of the
20 acquisitions to date for the small parcel program. And you
21 can see, especially when we're dealing with all of these
22 10-acre parcels, that just the accounting process of all of
23 these is becoming somewhat challenging. To keep all of
24 them straight and to keep the various status of all of them
25 straight. The ones that have been authorized for purchase

00114

1 agreements or offers, sometimes they have expired and just
2 trying to keep track of which ones haven't expired, have
3 expired, which ones have gone back to the Trustee Council
4 for approval, which ones have been notified to the court is
5 becoming kind of an accounting nightmare there.

6 But there has been some progress on things. It's
7 been a lot slower in the past six months to a year in terms
8 of activities. There are a number of parcels on this list
9 that we had thought would close this past summer and have
10 not. I think part of it reflects there usually ends up
11 being some issues that just become difficult to resolve in
12 the final end. I think a number of the agencies also have
13 had significant staff reductions in their, kind of their
14 land departments and so they haven't been able to devote as
15 much attention to these. They aren't as high priority
16 because they are -- they tend to be smaller. So all of
17 those things I think have combined to make some of these
18 things move more slowly.

19 I guess the good news maybe would be, if we were
20 making money, the money is still in our funds and it would
21 be earning interest. I'm not sure that's been quite the
22 case in the last year or so. But we are really hoping that
23 in the next year, most of these do get resolved in some
24 fashion or another. So we do have some activities in front
25 of you today for actual Council action. There are three

00115

1 10-acre parcels on Kodiak that are ready for offers to be
2 made by the Trustee Council. The appraisals have been
3 reviewed and approved and they are ready to go. And you do
4 have a resolution in your packet plus maps and benefit
5 reports of those. And we do have Fish and Wildlife
6 Services here to speak to those parcels.

7 CHAIRMAN GIBBONS: Are they here?

8 MS. McCAMMON: Yes, they are here.

9 MS. MULLANEY: I guess I didn't know I was actually
10 going to speak.

11 MS. McCAMMON: Well, mainly if there were any
12 questions.

13 CHAIRMAN GIBBONS: Oh, okay.

14 MS. McCAMMON: So was there any questions on any of
15 the other parts of the program?

16 MR. BALSIGER: I have a question on your accounting
17 nightmare, I guess, with so much paper and it gives me one.
18 So I can see that you got 2070, 1, 2 and 3, the material
19 back here but where does that show up on the summary report
20 of like Tables 1, 2 and 3 -- or doesn't it?

21 MR. RUE: Tables 1, 2 or 3 -- there are funds --
22 parcels under consideration.

23 MR. BALSIGER: Under the habitat status report, the
24 second page is the tables that Molly just went through.

25 MS. McCAMMON: The tables, yes.

00116

1 MR. RUE: Right. Right. Right.

2 MS. McCAMMON: Yes.

3 MR. BALSIGER: And those are small parcels which
4 include some Kodiak stuff but then these three new ones,
5 are they part of this list?

6 MS. SCHUBERT: They're just in Table 1 that's
7 designated for additional Kodiak grant (indiscernible -
8 away from microphone) parcels.

9 MS. McCAMMON: Right.

10 MR. BALSIGER: Thanks.

11 MS. SCHUBERT: So they would actually.....

12 MS. McCAMMON: Right, it would be the \$135,150. It
13 would be within that amount.

14 MR. BALSIGER: Okay, thank you.

15 MS. MULLANEY: So these last three.....

16 MS. McCAMMON: Do you want to come up here, Chris?

17 MS. MULLANEY: The three 10-acre parcels that we're
18 asking for funding for now are sort of the last of the
19 bunch. I have sort of contacted everybody that I can find,
20 these three were ones I had a little bit more trouble
21 finding out exactly who the owners are and I really don't
22 see much more activity on the 10-acre parcels after this.

23 MR. TILLERY: Mr. Chairman. Yeah, I had one
24 question on that. On the maps, the blue that are denoted
25 as 10-acre parcels, are those ones 10 acres we've purchased

00117

1 or 10 acres we haven't purchased?

2 MS. MULLANEY: We have not purchased.

3 MR. TILLERY: Okay.

4 MS. MULLANEY: Those are still private parcels.

5 MR. TILLERY: And so you don't anticipate any of
6 those being purchased?

7 MS. MULLANEY: Not at this time. You know, I guess
8 every time I go to Larson Bay though I have a couple more
9 people come up and ask me if I'm interested in buying their
10 parcel.

11 MR. RUE: Question. After you purchase these it
12 looks like you still have about, what, 90,000 left in that
13 account? Somewhere in that range. I was trying to do a
14 rough map.

15 MS. MULLANEY: Yeah, it's a moving target but yeah,
16 something like that.

17 MR. RUE: What's the status of that account then if
18 there are no more parcels of interest, what happens to that
19 90,000? Do we allocate it?

20 MS. McCAMMON: At this point it would just stay
21 there until you took some other action on it.

22 MR. RUE: Decide to do something.

23 MS. McCAMMON: Right. And just as we have under
24 that table designated for Tatitlek homesites, 180,000 and
25 there's nothing happening on those either.

00118

1 MS. MULLANEY: I think at some point we'd also like
2 to address the fact that there's a bunch of parcels that
3 are kind of owned by Larson Bay that they never deeded out.
4 If we could ever solve their title problem, we'd like to go
5 in and actually buy the rest of the little pieces that are
6 still owned by the Larson Bay Tribal Council, which show up
7 as brown on the map.

8 MR. RUE: So do we need a resolution?

9 MS. McCAMMON: There is a resolution in your
10 packet. And it has been reviewed and approved by all of
11 the attorneys.

12 MR. RUE: Do you want any further discussion, Mr.
13 Chairman?

14 CHAIRMAN GIBBONS: Do I have a motion?

15 MR. RUE: I move that we adopt the resolution
16 that's been drafted for us regarding the three 10-acre
17 parcels, KAP 2071, KAP 2072 and KAP 2073.

18 CHAIRMAN GIBBONS: Is there a second?

19 MS. BROWN: Second.

20 CHAIRMAN GIBBONS: Second.

21 MR. RUE: I don't read the whole thing, I think
22 we've all had a chance to look at it.

23 CHAIRMAN GIBBONS: Any discussion?

24 (No audible response)

25 CHAIRMAN GIBBONS: So that would total 42,000, is

00119

1 that.....

2 MS. McCAMMON: Correct.

3 MR. RUE: Yes. Where's the exact number -- 42,000
4 is the total.

5 CHAIRMAN GIBBONS: Is there any other discussion?
6 Mr. Tillery, you look like you're looking.....

7 MR. TILLERY: Well, I'm a little bit puzzled on
8 2073.

9 MR. RUE: 2073?

10 MR. TILLERY: Yeah, could somebody go over the
11 benefits of that one? It's off the shoreline, it doesn't
12 seem to really be on the stream except for a small niche.

13 MS. MULLANEY: It's surrounded by refuge lands,
14 would be one of them. It's totally surrounded by refuge
15 land so.....

16 MR. TILLERY: But in terms of restoration value,
17 other than administrative convenience for the refuge,
18 what's the sort of value of that particular piece?

19 MS. MULLANEY: Well, it is on that part of the
20 Browns Bear Lagoon which has very high habitat of salmon
21 going up there. It's a big brown bear feeding area. We've
22 bought an awful lot of parcels right next door to it. So I
23 think it has just as much habitat value as some of the ones
24 right next door. If somebody wanted to put a cabin there,
25 they can certainly hunt all the rest of the lands around

00120

1 it.

2 CHAIRMAN GIBBONS: Which ones were purchased by the
3 Trustee Council around it? I'm just trying to figure
4 out.....

5 MS. MULLANEY: They actually show up as green but
6 you can see the little square around them. We purchased
7 all of those.

8 MR. BALSIGER: Is this area open to hunting?

9 MS. MULLANEY: Uh-huh (affirmative).

10 MR. BALSIGER: I'm sorry, I didn't follow that.
11 Show up as green but they have a square around them.

12 MS. MULLANEY: They're green but they look like
13 they have a little square around them, all of these.

14 MR. BALSIGER: Okay, so it looks like the -- what
15 do you call -- a legend over here would make it look like
16 that's Kodiak National Wildlife Refuge.

17 MS. MULLANEY: It is now because we purchased them
18 with.....

19 CHAIRMAN GIBBONS: We purchased it and assigned it
20 to them.

21 MR. BALSIGER: Thank you.

22 MS. MULLANEY: Yes, we purchased them with EVOS
23 money.

24 MR. TILLERY: Mr. Chairman, then it looks like to
25 me that if we purchased that, that would essentially make

00121

1 the back half of the lagoon would either be -- with a
2 couple of exceptions of the Larson Bay lands -- would
3 either be owned in the National Wildlife Refuge or the US
4 would have a conservation easement on it.

5 MS. McCAMMON: Chris, the purple ones, though, are
6 in the Koniag Phase II extension of the easement, correct?

7 MS. MULLANEY: Correct.

8 MS. McCAMMON: And so there is the option in 10
9 years for all of those purple ones to be purchased as part
10 of that package. So then you would have that entire area
11 protected, the back part of the lagoon.

12 MR. TILLERY: Right. So it's just the brown and
13 the blue then that would be unprotected?

14 MS. McCAMMON: Correct. Kind of the -- yeah, the
15 front part of the lagoon.

16 MR. RUE: And very often the head of the lagoon,
17 Mr. Chairman, is the most important part where the stream
18 comes in. You have a lot of activity with bears. So if
19 you had to pick one part of a lagoon to protect, you would
20 do the head of it. At least I would look there.

21 CHAIRMAN GIBBONS: Any other discussion?

22 (No audible response)

23 MS. McCAMMON: We have a motion but no second.

24 CHAIRMAN GIBBONS: We have a motion and we have a
25 second.

00122

1 MS. McCAMMON: Did you get a second?
2 MR. RUE: Was there a second?
3 CHAIRMAN GIBBONS: Yeah.
4 MR. BALSIGER: Yes, we both seconded it.
5 CHAIRMAN GIBBONS: Hearing no other discussion, all
6 those in favor say aye.
7 IN UNISON: Aye.
8 CHAIRMAN GIBBONS: All opposed?
9 (No opposing responses)
10 CHAIRMAN GIBBONS: Motion passes.
11 MS. McCAMMON: Thank you.
12 CHAIRMAN GIBBONS: Molly, I think you're up -- the
13 Afognak resolution.
14 MS. McCAMMON: Right, the next item before you is a
15 resolution that you requested at the August meeting after
16 hearing a presentation from the Kodiak Brown Bear Trust,
17 the Rocky Mountain Elk Foundation and the American Lands
18 Conservancy about various efforts under way to protect
19 lands on Northern Afognak Island. We prepared this
20 resolution at your request -- I'm trying to think, there is
21 a, I think, a revised proposal now, amidst all the
22 paperwork, I'm looking for it right here.
23 MS. SCHUBERT: It was on the table this morning.
24 MS. McCAMMON: Okay, it was on the table this
25 morning. So it should be dated 12-11-01 at the bottom of

00123

1 it. And this reflected some changed language in one of the
2 whereases and now I'm trying to figure out which one it was
3 that changed. The fifth one?

4 MS. SCHUBERT: Yeah.

5 MS. McCAMMON: One, two, three, four, five. Okay.
6 Got it. This reflects some language requested by the
7 Department of Law on the fifth whereas, whereas as the
8 Trustee Council sought to acquire these additional lands in
9 order to provide contiguity -- I'm not sure that's the
10 right word.

11 MR. TILLERY: That was not a Department of Law
12 word.

13 MS. McCAMMON: I'm not sure that's a word.

14 MR. TILLERY: Contiguity.

15 MS. McCAMMON: Contiguity. It just doesn't sound
16 right. In protection land management strategies and
17 ownership, it had insufficient funds available to purchase
18 them. And basically the resolution talks about the past
19 efforts that the Trustee Council has expended on protection
20 of Northern Kodiak Island, which has been extensive in the
21 past and is in support of additional efforts. There was
22 some discussion, I heard from one of the Trustees, because
23 there are other efforts under way in addition to those by
24 the Kodiak Brown Bear Trust, American Lands Conservancy and
25 Rocky Mountain Elk Foundation. And so there was a

00124

1 recommendation that when we get down to the, therefore be
2 it resolved, that it be that the Trustee Council strongly
3 supports and encourages the efforts underway to seek funds
4 for protection of the coastal habitat in Perenos Bay. And
5 eliminate specific reference to the Kodiak Brown Bear
6 Trust, American Lands Conservancy and Rocky Mountain Elk
7 Foundation. Not because those efforts aren't supported but
8 because there are additional efforts by others going on.

9 And just in case there is any question about what
10 the Council has done in the past on Afognak Island, to date
11 there have been three major land acquisitions, Seal Bay and
12 Tonki Cape in November of '93. Shuyak Island in March of
13 '96 and then around Perenos Bay and timber reservations
14 east of Paul's and Laura Lakes with Afognak Joint Venture
15 in November of 1998. Those total over 100,000 acres and
16 about 155.6 million dollars. So there has been a
17 significant effort made in terms of protection activities
18 on Afognak. Certainly it was one of the more expensive --
19 the most expensive area within the spill impacted area.
20 And that was one of the reasons we weren't able to do as
21 much at that time.

22 In addition, when landowners were originally
23 contacted back in '93, there were a number of landowners
24 who were not interested in selling at that time. These
25 included Ouzinkie Native Corporation, Afognak Native

00125

1 Corporation, Natives of Kodiak, at that time, Afognak Joint
2 Venture was still -- and still is in place but they're in
3 the process of demerging. So there are now landowners that
4 have approached the Trustee Council and others with
5 interest now in selling interests in their lands, and that
6 was not available at that time.

7 CHAIRMAN GIBBONS: Mr. Rue.

8 MR. RUE: Mr. Chairman, one of the reasons we're
9 doing this obviously is to help those folks who are working
10 on this make a case with whoever is going to help them with
11 funding.

12 MS. McCAMMON: Private funders, yes.

13 MR. RUE: Demonstrate our interest and our support.
14 By changing this last paragraph, do we weaken that sense of
15 support? It's just a question I'd put out there.
16 Certainly it doesn't in my own mind but inasmuch as we're
17 providing support for folks to go out and do good things
18 and raise money, have we hindered them in any way. Perhaps
19 if they're here we could ask them.

20 MS. McCAMMON: I did talk to Jerry Wells with the
21 Rocky Mountain Elk Foundation yesterday afternoon. And he
22 wanted to express his appreciation for the resolution. Of
23 course they would like to see a financial commitment in any
24 resolution but they understand that the Trustee Council
25 might not be at that point in making that commitment now.

00126

1 They are meeting with various foundations and trying to get
2 commitments. I mean, I think another way of handling this
3 would be to say encourage the efforts under way, including
4 those by the Kodiak Brown Bear Trust so that they are
5 referenced but not limited to just those.

6 MR. RUE: We do mention them throughout but it
7 seemed a little odd to take them out here unless there's a
8 compelling reason, I'd rather leave them in somehow.

9 CHAIRMAN GIBBONS: If I could comment on that. I
10 just want to encourage all people out there to encourage to
11 purchase. Not just limit it to these three, that was
12 my.....

13 MS. McCAMMON: Right.

14 CHAIRMAN GIBBONS: There's other activities going
15 on in this arena out there so we shouldn't just limit to
16 the three, was my only one. We should encourage a bunch of
17 activities out there.

18 MR. TILLERY: Mr. Chairman, I agree. I think it's
19 nice to leave the names in there but I think perhaps after
20 Rocky Mountain Elk Foundation we could simply say, and
21 others. Which would -- because you're right there. Not
22 only are there some more that you're aware of but there are
23 some others that we're not currently aware of that perhaps
24 these people be approached.

25 MR. RUE: So it would read, encourages the efforts

00127

1 underway by Kodiak Brown Bear Trust, American Lands
2 Conservancy, Rocky Mountain Elk Foundation and others to
3 seek funds. I'd prefer that.

4 MS. McCAMMON: Uh-huh. Okay.

5 MR. TILLERY: Mr. Chairman.

6 CHAIRMAN GIBBONS: Yes.

7 MR. TILLERY: The one thing that the Department of
8 Law had requested in that fifth paragraph is it originally
9 was sort of -- the statement as originally drafted was sort
10 of speculative as to what the Trustee Council would do or
11 would have done, which is probably not something we want to
12 get into. But when we went back and looked at the -- I
13 mean, to make sure of this, looked at the record, the
14 Trustee Council actually did seek to purchase these lands
15 that are being described in here. We made an offer for
16 these lands and we simply came up short of money because we
17 had to ensure there was sufficient money to establish a
18 viable long-term scientific research program. So certainly
19 we thought that it was important that that paragraph be
20 changed to reflect that in fact we did, the Trustee Council
21 did unanimously seek to purchase those lands, we simply
22 weren't able to do it because of funding limitations.

23 MR. BALSIGER: I was going to offer the same
24 suggestion as Mr. Tillery.

25 CHAIRMAN GIBBONS: Oh, okay.

00128

1 MR. BALSIGER: On the others part.
2 CHAIRMAN GIBBONS: Any other comments?
3 (No audible response)
4 CHAIRMAN GIBBONS: Do we have a motion?
5 MR. RUE: Excuse me, Mr. Chairman. I move that we
6 adopt the resolution of the Exxon Valdez Oil Spill Trustee
7 Council concerning protection of lands in Perenosa Bay as
8 amended in the last paragraph to say, efforts underway by
9 the Kodiak Brown Bear Trust, American Lands Conservancy,
10 Rocky Mountain Elk Foundation and others to seek funds for
11 the protection of the coastal habitat in Perenosa Bay.
12 CHAIRMAN GIBBONS: Okay, do we have a second?
13 MS. BROWN: Second.
14 CHAIRMAN GIBBONS: It's been moved and seconded.
15 Any other discussion on this?
16 (No audible response)
17 CHAIRMAN GIBBONS: All those in favor say aye.
18 IN UNISON: Aye.
19 CHAIRMAN GIBBONS: Opposed?
20 (No opposing responses)
21 CHAIRMAN GIBBONS: Motion passes.
22 MS. McCAMMON: It needs to be amended. Oh, is
23 this.....
24 CHAIRMAN GIBBONS: No, that's KAP.
25 MS. McCAMMON: Oh, okay. That's the other one.

00129

1 The three tax parcels. All right, now.....

2 CHAIRMAN GIBBONS: Microwave station.

3 MS. McCAMMON: Yes. Okay, this is a proposal and
4 there's information in your packet and we have some
5 representatives of the project here to give a presentation
6 to you. But basically Alascom is seeking permission to
7 locate a microwave repeater site on land purchased by the
8 Trustee Council as part of the Afognak Joint Venture
9 acquisition that was completed in 1998. The State of
10 Alaska now holds title to the land and the United States
11 holds an conservation easement on the land. Permission
12 from both governments is required for this activity. In
13 addition, because this land is acquired through the EVOS
14 process, basically the informed consent of the Trustee
15 Council is being requested although it is not required.
16 And there is a packet in here that's been provided by New
17 Horizons Telecom, which is Alascom's authorized agent. And
18 they have a project description, drawings and a map. And
19 we do have folks here who are available to answer specific
20 questions. Before they get into that, I do need to just
21 make note real quickly of some comments that were brought
22 up at the Public Advisory Group meeting yesterday on this.
23 There was some concern expressed because there have been,
24 in the past few years, a couple of activities like this
25 that are being sought on lands that were purchased through

00130

1 the Trustee Council process.

2 And the Council process is a very open public
3 process and there is some concern that -- and I don't think
4 there is concern necessarily with any of the activities
5 that have been considered but there is some concern that by
6 just requiring permission of the governments, there was a
7 question about whether there was a public process included
8 in that and whether there would be opportunities for the
9 public if they didn't like certain activities to actually
10 have some kind of involvement in what the governments had
11 to say about things. I know the State of Alaska has a
12 process, I'm not sure something like this qualifies for
13 that public process in terms of a best interest finding and
14 I'm not sure that the Federal side has any kind of process,
15 other than just a government review. But this was a
16 comment that the PAG -- a couple of the PAG members wanted
17 me to pass on to you. That there was a little bit of
18 concern about that expressed.

19 And going back now to this particular proposal, the
20 proposers originally did seek a site on Shuyak Island,
21 within Shuyak Island State Park. And they met with State
22 Park staff who actually objected to the original proposed
23 site and working with the proposer, they came up with this
24 alternate site on Northern Afognak. So with that, do you
25 just want to come up and if there's any -- do you want to

00131

1 go through the actual proposal and then if there are any
2 questions.....

3 MR. LeCREN: I'm Doug LeCren with New Horizons and
4 we're working with AT&T Alascom to create a microwave link
5 between Homer and Kodiak. Kodiak as of right now only has
6 satellite telephone service, which you get that delay in
7 there. A satellite communications does not allow you to
8 have high speed Internet access or any of the new high tech
9 telecommunications that are coming online these days. As
10 Molly pointed out, we worked with the Park Service and we
11 actually looked at two or three sites on Shuyak and also
12 looked at the site that you're looking at right now, which
13 is Big Waterfall Bay.

14 Basically there's five hops in this going from
15 Kodiak to Homer. All the sites are vital. Due to the
16 microwave links, the sites can only be a certain distance
17 apart from each other. We also have sites in Kitoi Bay,
18 Ushagat, Bede Mountain and then on Diamond Ridge in Homer.
19 We have been working -- Ushagat Island is actually in the
20 Fish and Wildlife Refuge. We've been working with them.
21 That is not totally approved but we have gotten, procedure-
22 wise, we have a few questions that we're dealing with right
23 now. The other two sites are in Native owned land, which
24 we are dealing with them. The site itself would have two
25 12 x 16 buildings, one's going to be an equipment building;

00132

1 the other one will be a power generation building. And
2 then we'll have a 6,000 gallon above ground storage tank,
3 double wall. And then we'll have a hundred-foot free
4 standing tower with, I believe there's four antennas on it.
5 Two shooting north; two shooting south.

6 AT&T has -- the fuel system would all be monitored
7 back at AT&T Toll Center here in Anchorage, which both
8 monitors the level of the tank; the double-wall
9 interstitial space of the above ground storage tank; the
10 day tank inside; the actual floor of the equipment room, if
11 there's anything to spill inside it and all that is
12 monitored back here. That's basically the overview of the
13 whole thing. We would be building the buildings actually
14 in town, out in Palmer and they'd actually be helicoptered
15 into the site so that minimizes time at the site for
16 construction. We basically go on site and build the
17 foundation, which is a pier building so there's no leveling
18 of the land, it's basically just columns of concrete. And
19 then heavy lift helicopters come in and set the buildings
20 where they are and then we do all the tie ins together.
21 The tower itself would be stacked on site, either with a
22 helicopter or with equipment that would fly in. The site
23 is designed to operate for a full year without refueling
24 and in that case, during the summer months we would refuel
25 and also do all the maintenance on it. So you're only

00133

1 looking at maybe once or twice a year actually going to the
2 site unless there's a major, major maintenance problem with
3 it that they'd immediately have to go to. And that's
4 basically it. The site's .6 acres. If you look at figure
5 3, it's 200 feet by 110 feet, which would involve all the
6 buildings, the tank, the tower and the helicopter pad.

7 CHAIRMAN GIBBONS: Mr. Rue.

8 MR. RUE: How far along are you in your discussions
9 with DNR? Is DNR the land manager that would have to
10 approve this?

11 MS. McCAMMON: Yeah, State Parks.

12 MR. RUE: Okay, State Parks.

13 MR. LECREN: State Parks is actually through the
14 process of eliminating the sites that -- Chugach actually
15 approved the site verbally. It's basically a Catch-22.
16 We're waiting for your approval to get their approval to go
17 to the underlying, which is actually BLM and then -- what
18 was the other.....

19 MR. RUE: On the subsurface, you have to go there?

20 MR. LECREN: Right.

21 CHAIRMAN GIBBONS: So they'll have -- you'll have
22 containment around the tanks and all that is part of your
23 permit then?

24 MR. LECREN: Yeah, the 6,000 gallon tank is a
25 double-wall tank which is the outside tank. Basically if

00134

1 the inside one were to rupture, it'd catch that. All the
2 piping from that tank to the building is in double-wall
3 containment. It's got all the spill preventions of CFR and
4 they're also required to have a SPCC plan, which is a spill
5 prevention counter measure plan, basically. Which AT&T has
6 at all their sites.

7 MS. BROWN: What kind of electronic monitoring or
8 other kind of remote monitoring are you going to be doing
9 on the integrity of the tanks and the lines?

10 MR. LECREN: There will be -- if you look at the
11 table, there will be electronic monitoring on the second
12 wall containment piping, actually inside the building. The
13 double-wall tank, the double wall interstitial space, the
14 above ground storage tank and the above ground interstitial
15 space and also the level, so they can actually gauge the
16 generator usage for what's actually in the tank.

17 CHAIRMAN GIBBONS: Mr. Tillery -- I mean, Mr. Rue.

18 MR. RUE: Mr. Chairman, as I recall, when we looked
19 at the parcels and purchased the land, this was not the
20 highest value of habitat. I mean, it seems to me they've
21 located -- they've done a good job of finding a good spot
22 for this that avoided the highest values that we were
23 seeking to protect when we bought these parcels. It is my
24 best recollection of this area.

25 MS. McCAMMON: I think that's correct.

00135

1 MR. RUE: And so for that reason, I think they've
2 done a good job of finding a spot that works for everybody.
3 So that's my initial read on it. Unless others here see
4 something I don't see.

5 CHAIRMAN GIBBONS: Jim.

6 MR. BALSIGER: No, I think that's right but Molly
7 asked something about the public process. But I presume
8 that the citizens of Kodiak is largely for this. Is there
9 anyone that finds a problem with it? They don't want
10 better communications?

11 MR. LECREN: Not that I know of and this actually
12 puts in the backbone and from that backbone you can
13 actually go to all the villages. To both English Bay,
14 there's a few villages on the sites that we're dealing with
15 their property that are basically saying, what's in it for
16 us? We've actually done calculations to shoot microwave
17 into more of the villages. It's a line of sight thing so
18 you've got to either jump over mountains or have a tower
19 high enough to shoot into some of the villages. But no, we
20 have not gotten any objections.

21 CHAIRMAN GIBBONS: Mr. Tillery.

22 MR. TILLERY: I'm trying to sort of sort out in my
23 mind the Council's role in this. My recollection is that
24 there is a -- the agreement that has certain covenants in
25 it and then there's a conservation easement to the other

00136

1 government. It would seem -- I think, and I could be wrong
2 about this, I haven't looked at it -- is that the Council's
3 role really would be that of a recommendation to the
4 government that owns it and the government that has the
5 conservation easement. We really wouldn't approve this,
6 per se.

7 MS. McCAMMON: Correct.

8 MR. TILLERY: And then as far as public process,
9 that would be the State -- would do a best interest
10 determination and that would.....

11 MS. McCAMMON: That was unclear, whether there was.
12 Whether this qualified for that or not. I did consult with
13 Alex about that and he wasn't clear on that.

14 MR. RUE: Whether this is a significant enough
15 action?

16 MS. McCAMMON: Right.

17 MR. RUE: Yeah, that's really up to DNR to decide.

18 MS. McCAMMON: Right.

19 MR. TILLERY: In any event, I don't think that we
20 are really saying yes or no, we simply would be making a
21 recommendation to the two governments.

22 MR. RUE: Do we have a form of the recommendation
23 here, Mr. Chairman?

24 CHAIRMAN GIBBONS: I have.....

25 MS. McCAMMON: We actually don't, although it's

00137

1 similar to, I believe it's the Old Harbor Hydroelectric
2 activity that was done on Old Harbor lands. So, I mean,
3 there has been precedent for this before. It's difficult
4 in a lot of these large parcel acquisitions to foresee what
5 kinds of needs and uses might come up. So I think it was,
6 you know, it's appropriate that things like that come back
7 for the Council to make a recommendation. And we do have,
8 I know, a -- there was some kind of a recommendation that
9 was made at that time. I can't remember what the actual
10 language was but you could do a conceptual recommendation
11 that we could then draft language and send it around to
12 you, if that's sufficient.

13 MR. RUE: Mr. Chairman.

14 CHAIRMAN GIBBONS: Mr. Rue and then.....

15 MR. RUE: I'd feel comfortable having the Executive
16 Director write a note saying that the Council had a
17 presentation and felt that the site as proposed didn't
18 conflict with the purposes that we had in mind when we
19 purchased it. Or something to that effect. Although I'm
20 not sure we want to -- I do worry a little bit that we're
21 getting into a precedent. That we're going to start
22 sitting here and looking at every single project as opposed
23 to letting the process work and.....

24 CHAIRMAN GIBBONS: That's my con.....

25 MR. TILLERY: Well, I don't think that's a bad

00138

1 precedent. I mean, I think that we should hear about
2 projects that effect lands that this Council paid
3 restoration dollars for. And one of the other things that
4 we're eventually going to get into at some point is where
5 the lease money is going to go for this site. But I just
6 want to make sure that we don't have a.....

7 MS. McCAMMON: That's a good question.

8 MR. TILLERY: Let's make sure that people are aware
9 that we don't have a yes or no role in this. It's really,
10 you know, it's left up to the governments under the terms
11 of the conservation easement and the deed.

12 MR. RUE: Okay. Do others think we should write a
13 letter or should we just have a voice resolution or
14 something?

15 CHAIRMAN GIBBONS: Michele, do you.....

16 MR. TILLERY: What's the timing? What's the timing
17 on this?

18 MS. McCAMMON: Doug, what's the timing on this?

19 MR. LECREN: As soon as possible.

20 MS. McCAMMON: Last week.

21 MR. LECREN: They're going into construction this
22 summer so this or next month would be most beneficial.
23 We're trying to wrap up all the land acquisition by next
24 month.

25 MS. McCAMMON: By next month.

00139

1 CHAIRMAN GIBBONS: Michele.

2 MS. BROWN: My comment is somewhat similar to what
3 Frank was raising in terms of our role of -- you know, I am
4 concerned about the public process. I do appreciate that
5 fact that you brought it to us so you would have a full
6 discussion. It seems like our role is more one of saying,
7 we don't object or oppose but it's up to the land manager.
8 We don't see that it conflicts with the purposes but it's
9 up -- so that we're not looking like we're directing the
10 land manager. In any way influencing abundantly the
11 outcome of that. And then my second question was the money
12 on it. Does the Council have any kind of role in that or --
13 I just don't understand how all those financial
14 arrangements work and we always need more money in GEM, you
15 know.

16 MS. McCAMMON: I think we need a creative attorney
17 to work on that. No, actually it was the landowner who
18 asked Doug and his group to come to us, too.

19 MR. LECREN: Yeah, we're.....

20 MS. McCAMMON: I don't think he would have come
21 necessarily to another one on your own.

22 MR. LECREN: Well, we were directed from the --
23 actually the Parks Service.

24 MS. McCAMMON: State Parks -- Alaska State Parks,
25 yeah.

00140

1 MR. LECREN: State Parks because they actually
2 directed us, of course, to this island because they didn't
3 want us on the other island.

4 CHAIRMAN GIBBONS: Mr. Tillery brought up an
5 interesting thing, we do a lot of this in the Forest
6 Service and -- do we have a mechanism? I would think the
7 payment would still go to the State. Why would it come in
8 to us? I was thinking about that and I don't know how much
9 the State charges but it wouldn't be a whole big windfall.

10 MS. McCAMMON: It's probably not a lot, it's.....

11 MR. LECREN: We'd pass that off to AT&T to deal
12 with that, so -- we just fill out all the paperwork and
13 then when it goes into negotiations it goes over to Jim
14 Wicks in real estate on AT&T and I would have no idea what
15 they pay in those lease agreements.

16 CHAIRMAN GIBBONS: And if you think you have a
17 paperwork nightmare with small habitat, these guys don't?

18 MS. McCAMMON: Right.

19 CHAIRMAN GIBBONS: Mr. Tillery.

20 MR. TILLERY: It seems to me that if we do submit
21 something that says we don't object to this which would go
22 to the governments, we might at the same time submit
23 something to the governments that's suggesting that
24 payments, whether -- you know, for example, if they were to
25 go to State Parks for management of these lands and I think

00141

1 they will eventually be managed in these under kind of a
2 land management agreement, it sort of mitigates the damage
3 and so forth or any harm that might come from this. So
4 again, we can't direct things but it might be worth
5 suggesting that they look.....

6 MS. PEARCE: But the State can't dedicate funds.

7 MR. TILLERY: No, but if they take it in as -- you
8 know this better than I do. They can't take this in as
9 program receipts.

10 MS. PEARCE: I don't think they can take it as
11 program receipts.

12 MR. RUE: They can ask for them.

13 MS. PEARCE: Not a right of way, this isn't -- that
14 would come in DNR under their rights of way into the
15 general fund.

16 MR. RUE: Maybe what we could ask, though, is that
17 Parks budget for using these funds. And they have to get
18 approval to do that. Right? That's how it works.

19 MS. PEARCE: We're getting a little too creative.

20 MR. RUE: No, that's how it works. And they would
21 say.....

22 MS. PEARCE: Why don't you just privately say to
23 the Commissioner of Natural Resources, here's an idea
24 rather than us doing that?

25 MR. RUE: I propose Molly write a letter saying we

00142

1 don't object. It doesn't conflict with purposes of the
2 purchase and the only question is, do we have this about we
3 hope that the rentals are used for managing the lands or
4 something.

5 MS. BROWN: As long as that doesn't encourage other
6 uses to offset budget cuts.

7 MR. RUE: I'm not worried about that. We want to
8 encourage them to.....

9 MS. McCAMMON: Why don't I draft a letter and send
10 it around to all of you?

11 MR. RUE: That's fine.

12 MS. McCAMMON: Before it gets sent.

13 CHAIRMAN GIBBONS: Okay.

14 MS. McCAMMON: Would that -- does a letter from me
15 on behalf of the Council work for you, Doug?

16 MR. LECREN: Yes, that's all we're proposing.

17 MS. McCAMMON: Okay, and we'll do that in the next
18 day or two.

19 MR. LECREN: We just need to get that letter and
20 then we're going to back it up with the Parks Service,
21 probably a recommendation from them, too, and then give
22 that to DNR.

23 MS. McCAMMON: Okay. Do you need a motion then, I
24 think or -- do you need motion?

25 MR. RUE: I don't think we need a motion.

00143

1 CHAIRMAN GIBBONS: No, I don't think so.
2 MR. RUE: Just see if there's any objection.
3 MS. McCAMMON: Okay. Okay.
4 MR. BALSIGER: Just one last question of curiosity.
5 Looking at your photos of Mount Ripinski and Point Howard,
6 I can't detect any security fence around those? Are they
7 so remote that you don't have to worry about.....
8 MR. LECREN: They're so remote they don't have
9 security.
10 MR. BALSIGER: Nobody's going to climb them
11 and.....
12 MR. LECREN: Basically the one -- the Big Waterfall
13 Bay is at the top of an 800-foot cliff and the only way
14 you're going to get there is either a very, very long walk
15 or a helicopter.
16 MR. BALSIGER: It sounds like high school seniors
17 would do it routinely.
18 CHAIRMAN GIBBONS: So just a thought, so you don't
19 have any trouble with bears?
20 MR. LECREN: We don't. The two buildings actually
21 have freezer doors on them. We built them with freezer
22 doors on them so they don't -- both blowing wind and
23 everything. And actually the tank is actually ballistic
24 rated so you can all -- after the shot in the pipeline, you
25 can't really say that it's totally -- but no, we have not

00144

1 -- I don't think we've had any problems with any bears that
2 I know of and we've been doing some fuel upgrades down in
3 Southeast on probably about 22 sites down there for AT&T.

4 CHAIRMAN GIBBONS: I'm going to have to put some of
5 those on my cabins. Okay, thank you.

6 MR. LECREN: Thank you for your time.

7 CHAIRMAN GIBBONS: Should we take a short break and
8 then.....

9 MS. McCAMMON: Good, I think we've -- yeah, got a
10 few things left so, yeah.

11 CHAIRMAN GIBBONS: Five-minute break.

12 (Off record - 3:05 p.m.)

13 (On record - 3:21 p.m.)

14 CHAIRMAN GIBBONS: We reconvene the Trustee
15 Council. The next item on the agenda is another habitat,
16 Jack Bay. And Ken Holbrook, do you want to come up and
17 explain that to us.

18 MS. McCAMMON: Why, it's here again?

19 CHAIRMAN GIBBONS: Yeah.

20 MR. HOLBROOK: Good afternoon, Mr. Chairman,
21 Trustee Council. My name is Ken Holbrook and I'm with the
22 Forest Service and I'm here to ask today for the Trustee
23 Council to reauthorize the Forest Service to acquire the
24 Jack Bay parcel from the University of Alaska. You passed
25 a resolution in December of last year authorizing this and

00145

1 we were unable to come to a conclusion by June 21st, is
2 when your resolution expired. We are very close with them
3 now. We've had difficulty with the purchase agreement and
4 with the deed but we've worked out those details, we're
5 ready to go back. And you have a resolution and a benefits
6 report. And if you'd like I could go through it but it's
7 basically just reauthorization of what you did last
8 December.

9 MR. RUE: I'm fine with it. I've seen it before,
10 so I'm okay.

11 CHAIRMAN GIBBONS: Any questions from the Trustee
12 Council? Has this resolution been reviewed by legal staff
13 on both sides?

14 MR. HOLBROOK: That's correct.

15 CHAIRMAN GIBBONS: Okay.

16 MR. BALSIGER: Just so he doesn't get off without
17 anything, on Page 2 there's a funny C in your outline.
18 Instead of in parenthesis it looks like a copyright thing,
19 so.

20 MR. HOLBROOK: Okay, we can clear that up.

21 MS. SCHUBERT: It's been fixed.

22 MR. HOLBROOK: It has been fixed?

23 MS. SCHUBERT: In the original.

24 MR. HOLBROOK: Okay.

25 CHAIRMAN GIBBONS: Drue.

00146

1 MS. PEARCE: Thank you. Just for the record, while
2 the Council and a previous DOI rep for the Council approved
3 the original resolution to provide this funding, it's a
4 little inconsistent for me personally in that I have voted
5 a number of times in my previous life to try to give the
6 University of Alaska land. Certainly not purchase it back
7 from them.

8 MS. McCAMMON: This is the other hand.

9 MS. PEARCE: I understand and I also believe that
10 it doesn't create much value for anyone for one government
11 entity to purchase land from another government entity.
12 Perhaps the University would have been better off trying to
13 figure out a land exchange. But having said that, since
14 the Trustee Council has previously resolved to move forward
15 with this project, I think that it would be unfair to vote
16 against it. But it doesn't seem to me that we're creating
17 much value here for anyone.

18 CHAIRMAN GIBBONS: Mr. Tillery.

19 MR. TILLERY: Yeah, Mr. Chairman, the resolution
20 would have this offer expiring on December 15th, 2002. I
21 think that's contrary to our -- I think that's contrary to
22 our resolutions dealing with the sort of division of the
23 money which comes about on September 30th or September 1st,
24 I forget.

25 MS. McCAMMON: October 1, 2002.

00147

1 MR. TILLERY: October 1, 2002. Unless there's some
2 reason that that date needs to be December 15th, it would
3 seem to me that it would be better to have this either be
4 done or not done by September 30th.

5 MR. HOLBROOK: I think that September 30th would be
6 just fine.

7 CHAIRMAN GIBBONS: So that would be 4(b), change
8 that to September 30th?

9 MR. TILLERY: That's what I'm kind of looking at.
10 That's the only place I've seen it so far.

11 CHAIRMAN GIBBONS: Any other questions?

12 MR. SWIDERSKI: The only question I have is whether
13 a mineral survey -- normally when the Council buys a parcel
14 we don't get the mineral estate, where there's a potential,
15 if there's any possibility or potential for mineral
16 exploration the Council will ask for a mineral survey. And
17 I'm just not sure that one was done there. I'd have no
18 idea. Maybe the Forest Service has already done one. I
19 know that there have been minerals located at Virgin Bay,
20 which is very close and on some of the Tatitlek lands,
21 which are also quite close to this parcel. That was my
22 only comment on that.

23 MR. HOLBROOK: Mr. Chairman, we did not do a
24 mineral survey although I did do an extensive review of
25 past activities in the bay and on this parcel. There has

00148

1 been exploration and mining occurred in Jack Bay and
2 there's only been one operating mine, which is very close
3 to the border of this, for gold. There's been a number of
4 explorations within the area, both for gold and copper.
5 Nothing as much as what you see around Telemar or Fidalgo
6 or some of those other areas but there still is minerals in
7 this area and we have not done a survey.

8 MR. TILLERY: Mr. Chairman.

9 CHAIRMAN GIBBONS: Mr. Tillery.

10 MR. TILLERY: My recollection is that before we did
11 the -- one of the parks, I think it was Seal Bay, we did an
12 exercise, we had DNR do an exercise that determined that
13 there was no mineral value so we knew that we wouldn't be
14 buying land that was then going to end up subservient to
15 the subsurface estate and end up having a big open pit mine
16 or something on land we have spent money for. Is there any
17 reason why that couldn't be done as one of the conditions
18 of this? That there be some kind of an evaluation that
19 indicates that there is not effective
20 mineral value?

21 MR. HOLBROOK: I won't object. I mean, if that's
22 what the wishes are of the Council, we can arrange that.

23 MR. TILLERY: I guess I would be.....

24 CHAIRMAN GIBBONS: We've done a history of it. I
25 think, you know.....

00149

1 MS. McCAMMON: Would DNR do it?

2 MR. TILLERY: Well, DNR did them in the past I know
3 but I don't know if DNR would do this one.

4 MR. SWIDERSKI: DNR has done them. We've
5 contracted with someone to do -- we've done a number of
6 them actually. There's someone that we've contracted with
7 to do them. There is someone at DNR that's done them.

8 CHAIRMAN GIBBONS: It would be DNR -- it's DNR land
9 subsurface.

10 MR. SWIDERSKI: But anybody could -- I think the
11 concern is that someone would file a mining claim on it.
12 It wouldn't be DNR that was going to mine it.

13 MR. RUE: So, Mr. Chairman, is -- Mr. Chair, are
14 you suggesting that we make this contingent upon a mineral
15 survey and if it says there aren't any significant values
16 so there is no risk to surface estate, then it's a go?
17 What if the mineral survey comes back and says it's very
18 likely there will be an open pit copper mine here in 30
19 years or when the price of copper goes to X. Then if we
20 hear that, then we say the deal's off? I'm not sure where
21 you're going.

22 MR. TILLERY: Mr. Chairman, then I would think that
23 the Council would need to make an informed decision as to
24 whether that was essentially good use of our money. If
25 there is an indication that there is some kind of mineral

00150

1 that could result in activity that would, you know,
2 diminish the restoration value of the land then it's not
3 money well spent. It seems like we should know the answer
4 though before we spend money.

5 CHAIRMAN GIBBONS: Why don't we have the Forest
6 Service work with DNR on a mineral evaluation of the 942
7 acres.

8 MR. TILLERY: And just for example.....

9 CHAIRMAN GIBBONS: Because would that be -- it may
10 be valuable. I know DNR is redoing their Prince William
11 Sound area plan. There may be a value to that public
12 process too.

13 MS. PEARCE: Are you talking about an actual
14 assessment? Mineral assessment or.....

15 CHAIRMAN GIBBONS: Right.

16 MS. McCAMMON: No, it's a mineral -- what is it?

17 CHAIRMAN GIBBONS: Mineral survey, I think -- what
18 are they called?

19 MS. McCAMMON: Carol's here.

20 CHAIRMAN GIBBONS: Carol, do you have a.....

21 MS. FRIES: Generally what we have done in the past
22 is gone to the Division of Mining and have them look.....

23 MS. McCAMMON: Can't hear you, Carol.

24 MS. FRIES: Generally what we've done in the past
25 is gone to the Division of Mining and have them look at the

00151

1 geologic structure in the area and give us an opinion as to
2 what the potential for various minerals and other
3 subsurface resources might be. They don't -- they're not
4 going to give us a value, they're going to tell us whether
5 or not it is likely that it would have economic potential
6 or not, as the case may be.

7 MR. HOLBROOK: Mr. Chairman, I have done a complete
8 review of Bureau of Mines activities. I have maps here
9 that show the mineralization and also all of the actual
10 prospects that have occurred in the area, which would be
11 very useful in this review.

12 MS. McCAMMON: So I guess the question is, do you
13 wait for that mineral assessment before you do the
14 resolution or do you do some contingency and it only comes
15 back if it's something else. Or how do you want to
16 approach that?

17 MR. TILLERY: Mr. Chairman, I think it would be
18 something like one of these A, B, C, D, E's. You know,
19 like completion of a compliance with NEPA or completion of
20 hazard materials survey. It would be completion of a
21 mineral assessment that indicates something and I haven't --
22 I guess I don't know what the language is.

23 MS. McCAMMON: Well, we did have one for Afognak
24 that said what, low probability of -- I know there was
25 something on Afognak or.....

00152

1 MR. SWIDERSKI: Yeah, was it in the resolution or
2 did we come back to the Council and just explain that there
3 was a low -- we hired -- we contracted with somebody and I
4 think we came back with a report that said there was a low
5 likelihood of.....

6 MS. McCAMMON: Of mineral development or something.

7 MR. SWIDERSKI:minerals. Right, minerals
8 with economically viable harvest or something.

9 MS. McCAMMON: Yeah, something like that.

10 MR. SWIDERSKI: I don't remember what the words
11 were.

12 CHAIRMAN GIBBONS: Mr. Rue.

13 MR. RUE: How long do you think it would take to do
14 this and perhaps we should put it off until the next
15 meeting? Is this a couple of week exercise?

16 MS. McCAMMON: Carol.

17 MS. FRIES: Off the top of my head, I can't speak
18 for what the Division of Mining's priorities are. But
19 generally when we've asked in the past they can usually
20 give us an answer within a week or two. But I, you know,
21 it would just depend on what their scheduling is like.

22 CHAIRMAN GIBBONS: Can we, don't you think just to
23 pass this resolution with the contingency that they report
24 back on the minerals before any purchase is received.

25 MR. TILLERY: Or perhaps we say that there be

00153

1 completion of a miner assessment survey indicating that
2 there is a low probability of mineral development on the
3 land. If it turns out that that doesn't occur, then they
4 can come back to the Council and say, well it's not low but
5 it's just barely above low or something like that. But if
6 turns out that it is low, then they just go forward and
7 don't have to come back to the Council.

8 CHAIRMAN GIBBONS: Okay.

9 MR. RUE: Do you have a resolution -- I mean a
10 motion to amend the resolution?

11 MR. TILLERY: I don't think we have a motion yet,
12 so -- but that would be my suggestion.

13 CHAIRMAN GIBBONS: Do we have a motion on Jack Bay?

14 MS. McCAMMON: There is a resolution before you,
15 so.....

16 CHAIRMAN GIBBONS: There's a resolution here,
17 draft.

18 MS. McCAMMON: 0203.

19 MR. RUE: I move that we adopt the resolution of
20 the Trustee Council regarding Jack Bay small parcel PWS
21 1010.

22 CHAIRMAN GIBBONS: Is there a second?

23 MR. BALSIGER: Second.

24 CHAIRMAN GIBBONS: Second. Discussion?

25 MR. TILLERY: Well, I guess.....

00154

1 MS. McCAMMON: As amended?

2 MR. TILLERY: I would move that we amend the
3 resolution on Page 2 to change the date to September 30,
4 2002 and to add a subsection 4.....

5 MS. McCAMMON: F, maybe.

6 MR. TILLERY: I guess, H, I, that would say
7 completion of a mineral assessment indicating a low
8 probability of mineral development on the land.

9 MR. RUE: Second.

10 CHAIRMAN GIBBONS: Okay. The motion's been amended
11 as stated. There's a second to the amendment. Any further
12 discussion?

13 (No audible response)

14 CHAIRMAN GIBBONS: All those in favor say aye.

15 IN UNISON: Aye.

16 CHAIRMAN GIBBONS: Opposed?

17 (No opposing responses)

18 MR. HOLBROOK: Thank you, Mr. Chair.

19 CHAIRMAN GIBBONS: Okay, the next item,
20 consultation on grant priorities.

21 MS. McCAMMON: Mr. Chairman, if you'll recall we
22 have a grant that you approved last January and that we
23 finally signed in September with the Nature Conservancy and
24 Conservation Fund for a million dollars basically for these
25 two organizations to act as agents of the Trustee Council

00155

1 for some small parcel acquisitions. As part of the steps
2 that were agreed to in the resolution and under the grant
3 contract, the two organizations are to consult. They are
4 to first identify and evaluate parcels for possible
5 protection. They are to consult with entities, the United
6 States government, the State and others that would own the
7 parcels. And then thirdly, they are to consult with the
8 Trustee Council as to which parcels should be pursued for
9 acquisition. They have put together a spreadsheet summary
10 of proposed parcels and they are here to give a
11 presentation to you today and to answer any questions on
12 those parcels. And the consultation is to take place at a
13 publicly noticed meeting, which it is doing right now. So,
14 Randy and Brad?

15 MR. HAGENSTEIN: Thank you very much. I'm Randy
16 Hagenstein with the Nature Conservancy.

17 MR. MEIKLEJOHN: And I'm Brad Meiklejohn with the
18 Conservation Fund.

19 MR. HAGENSTEIN: And first, let me apologize for
20 the two point font in the spreadsheet in front of you.
21 We're trying to pack a lot of information in there into a
22 small space. I guess what we'd like to do is just very
23 briefly hit some of the high points on some of the
24 properties that Brad and I both look at as hot prospects at
25 this point. Things that look like active projects that

00156

1 have passed sort of that initial muster, have some level of
2 agency support and appear to meet the restoration intent of
3 the grant. Let me just start by talking about a few pieces
4 in Kachemak Bay State Park. First, a couple of University
5 properties. One is the only private property on Nuka
6 Island. The rest of Nuka is State owned, managed by State
7 Parks. It's a 22-acre piece and I know State Parks has
8 been working on that one with the University to try to find
9 a way to bring it into park management.

10 At the head of Kachemak Bay in the unit of the
11 State park on the north side of Kachemak Bay, there are
12 also two adjacent properties. A 40-acre piece owned by the
13 University that's currently available through their over-
14 the-counter sale program. It had been in their sealed bid
15 auction program a month or so ago. And a roughly 76-acre
16 property adjacent to that. Those are two of three
17 remaining in-holdings in that unit of the State park.
18 Going up to the mouth of the bay near the Diamond Creek
19 part of the State park and Overlook Park that the Trustee
20 Council invested in a number of years ago, a 48-acre piece
21 that spans about half the distance between Overlook Park
22 and the Diamond Creek unit of the State park system. So
23 collectively these parcels protect some important coastal
24 forest habitat in the Kachemak Bay State Park. They
25 provide restoration value for pigeon guillemots, harlequin

00157

1 ducks, sea otters, bald eagles and others and also address
2 some of the recreational concerns.

3 Moving a little bit up the peninsula from there,
4 we've got really good projects brewing on the Anchor River
5 right now. About a year ago, the Kachemak Heritage Land
6 Trust and Conservancy got a joint grant from Fish and
7 Wildlife Service to look at habitat values and look at
8 threats along the lower portion of the Anchor River, lower
9 10 miles roughly. We've identified a number of properties
10 there that both provide strong habitat values for over-
11 wintering moose, bald eagles, steelhead, a few species of
12 salmon, Dolly Varden, et cetera and are focusing
13 considerable effort there. There's three properties that
14 are almost adjacent. The Noll tract of 37 acres that we
15 closed on a week and a half ago, Nakada property, five
16 acres that we've lined up private money for and we'll do as
17 a bargain sale and a 60-piece owned by Herndon and
18 Thompson. These pieces, if we can purchase all of them,
19 when combined with existing land trust properties and
20 existing State land, will protect about a two mile stretch
21 of the river, including the entire flood plain, which is
22 important in a meandering river type situation as this.

23 These properties on the Anchor are going to be
24 nicely complemented by some acquisition work we're doing at
25 the mouth of the Anchor River and the estuarian barrier

00158

1 beach area there. The State of Alaska along with the
2 Conservancy and the Kachemak Heritage Land Trust have just
3 been awarded a coastal wetlands conservation grant to the
4 tune of about \$310,000. So when you look at these as a
5 combined package, we're getting really good leverage value
6 out of it while protecting and enhancing recreational and
7 habitat values.

8 Another property on the peninsula is the mouth of
9 Deep Creek, an 11-acre tract owned by the Ninilchik Native
10 Association. Nice coastal marsh habitat. Priority for
11 State Parks there. And then down in Port Graham we've got
12 kind of an unusual one, a proposal by the proposed Port
13 Graham community land trust. And this is a -- I guess I
14 would say it's not within the original mold or model of
15 purchasing in-holdings in existing conservation area. But
16 I think the project has some innovative components that
17 show strong community support that would involve some
18 limited compatible development along with conservation of
19 roughly 85 percent of the property. We're evaluating it as
20 a possible model to see about working with allotment owners
21 up and down the entirety of that shore of Port Graham. So
22 that one could, although it's a little bit out of the
23 model, it's got some innovative aspects and I think is
24 worth taking to the next step.

25 Finally, we're evaluating a number of other

00159

1 properties that continue to come across the transom.
2 Sandra Schubert just forwarded one. The only private
3 property on Chisik Island in Tuxedni Bay, a unit of the
4 Alaska Maritime National Wildlife Refuge and it's
5 designated as wilderness. So there's an example of the
6 kind of things that do come forward with some regularity.
7 I guess I'll turn it over to Brad to talk about some of the
8 projects that the Conservation Fund is working on and hope
9 that -- well, I'd be happy to take any questions after
10 that.

11 MR. MEIKLEJOHN: As Randy pointed out, the list
12 seems to grow exponentially by the day. Carol Fries handed
13 me another list of a half a dozen properties today on the
14 Kenai River and yesterday called to remind me that DNR is
15 very interested in acquiring properties in Kiliuda Bay
16 subject to completion of the exchange between the State of
17 Alaska and Old Harbor Native Corporation. I also received
18 a list of additional properties from Steve Shuck of U.S.
19 Fish and Wildlife Service. So this is a very open process,
20 the list continues to grow and we're evaluating these
21 properties as they come in and trying to stay in close
22 consultations with agencies that will be receiving these
23 properties.

24 As you all know, it's almost impossible to predict
25 which of these deals will come together at the end of the

00160

1 day. There's a very good chance that we'll have a 50
2 percent or less batting average so it appears that there's
3 a lot more land available to buy than there is money and
4 that probably is the case. But some of these deals will
5 certainly never come together. The ones that the
6 Conservation Fund is currently working on include the Kurka
7 property in the top set of properties there. That was a
8 property that the Trustee Council had identified as
9 meriting special consideration. That's been a difficult
10 deal to put together and apparently the property is under
11 foreclosure and we may have a renewed opportunity to work
12 on that one.

13 Down at the bottom of that first set of properties,
14 Chokwak, Ericksen and Inga, are all Native allotments in
15 Kiliuda Bay. Chokwak and Ericksen being on the north side
16 of Kiliuda Bay, apparently fairly high priorities to the
17 State of Alaska should the exchange between Old Harbor and
18 the State be consummated. And the Inga allotment on the
19 south shore of Kiliuda being the last private tract in the
20 Kodiak Refuge on the south shore. Other deals that we've
21 been working on for some time include about 650 acres owned
22 by the City of Kenai on the Kenai River Flats. And we've
23 had discussions over the last year and a half or so about
24 the purchase of the conservation easement from the city and
25 currently that deal seems to be dead in the water. So I'm

00161

1 not sure if that's going to be resurrected.

2 The MIDCO property on Middleton Island is an
3 interesting bird research site you've probably heard about.
4 There's a long-term bird monitoring research operation
5 going on out there. And we're hoping to secure that site
6 for continued long-term research. The research has been
7 going on on private lands and the owners of that property
8 would very much like to sell. So we're trying to find some
9 arrangement of working with Stan Senner of Audubon on that
10 one. The Conservation Fund currently does have a grant of
11 about \$800,000 from the North American Wetlands
12 Conservation Council for habitat protection on the Kenai
13 River, so we're currently looking at additional properties.
14 And we had hoped to use some of that money on the City of
15 Kenai property but we're going to have to find another home
16 for that money.

17 I guess those are the primary ones I'm working on.
18 Do you have any questions about where we stand on these
19 properties?

20 MR. RUE: Brad, maybe you could explain the City of
21 Kenai property on the flats there. What's happening?

22 MR. MEIKLEJOHN: I might defer.....

23 MR. RUE: They've decided to protect the.....

24 MR. MEIKLEJOHN: Mark Kuwada actually has worked on
25 this more closely than I have. Do you have any insight

00162

1 on.....

2 MR. KUWADA: Basically just the Kenai City Council
3 rejected. They didn't see -- I guess they just weren't
4 prepared at this point to sell the lands and didn't think
5 that it was a deal that they necessarily wanted to go for.
6 We thought we had it but it didn't work out.

7 MR. MEIKLEJOHN: Some of these deals have a way of
8 coming around and you know, they may have the gestation of
9 elephants and we just have to be patient and wait them out.

10 MS. McCAMMON: Dave, can I ask a question
11 about.....

12 CHAIRMAN GIBBONS: Molly.

13 MS. McCAMMON:the Ness tract, Kachemak Bay,
14 Overlook Park, Diamond Creek. That's not owned by Mike
15 Bullock, is it?

16 MR. HAGENSTEIN: No.

17 MS. McCAMMON: Just checking.

18 MR. HAGENSTEIN: Set your mind at ease?

19 MS. McCAMMON: Yeah, thank you.

20 MR. HAGENSTEIN: I've been in fairly frequent
21 contact with Mike Bullock or rather he's been in fairly
22 frequent contact with me over the past six months or so,
23 waiting to find out when this grant is going to happen
24 because you know the surveyors are ready to go and the
25 blade is about to be dropped.

00163

1 CHAIRMAN GIBBONS: Mr. Rue.

2 MR. RUE: I guess as an overall observation, I like
3 to see some of the focus on things like the Anchor River
4 which are hugely productive systems. I think in the long
5 term having those healthy systems around for people to use
6 and enjoy is going to be really important as the Kenai
7 grows and as Alaska grows. I'm glad to see you focusing on
8 some of those very productive areas.

9 CHAIRMAN GIBBONS: Mr. Tillery.

10 MR. TILLERY: Just to make sure I understand our
11 role in this, at this point it's a consultation. There's
12 not action by the Council, you're simply informing us?

13 MR. MEIKLEJOHN: That's correct. We're not asking
14 you to take any action. We're letting you know which
15 properties we're working on. None of these are at an
16 action state. We're not ready to close on any of these
17 yet.

18 MR. TILLERY: You will be expending money for
19 appraisals and so forth on some of these -- sounds like
20 some of them are already appraised.

21 MR. MEIKLEJOHN: Yes.

22 MR. HAGENSTEIN: Yes.

23 MS. McCAMMON: I think it's a consultation but with
24 the idea that if there were some in here that were
25 absolutely non-starters, they would rather, from the

00164

1 Council's perspective, they would rather hear about it
2 sooner than later.

3 MR. TILLERY: If I understand, \$560,000 an acre for
4 that one Kenai River property? That's a little steep.

5 MS. McCAMMON: That's cheaper than the parcel at
6 the bridge.

7 MR. TILLERY: Right.

8 MS. McCAMMON: That was a million an acre. How
9 much was that now?

10 MR. TILLERY: About 600,000.

11 MS. McCAMMON: 600,000 an acre.

12 MR. MEIKLEJOHN: That was our impression, too.

13 UNIDENTIFIED SPEAKER: Five acres for a million.

14 MS. McCAMMON: That was five for a million?

15 UNIDENTIFIED SPEAKER: Yeah.

16 MS. McCAMMON: That was expensive.

17 MR. TILLERY: Mr. Chairman, I don't quite
18 understand this Port Graham property, how that works.

19 MR. HAGENSTEIN: Well, actually one of the
20 proposers of this, Sarah Doyle is here and I don't know if
21 you'd like to get comments from Sarah. She's probably
22 better able to speak to it than I am. But the concept of a
23 community land trust, not to be confused with a land trust
24 like the Kachemak Heritage Land Trust or the Greatland
25 Trust, will be a property held in trust governed by a board

00165

1 of trustees. That would, in the case of this property,
2 there would be some limited development and protection of
3 the balance, roughly 80, 85 percent of the property. Like
4 I say, this is one that's not really the standard model and
5 I think it needs to be fleshed out a good bit more and more
6 partner funds brought to bear. But one of the things we're
7 hoping is that there's a great deal of excitement in the
8 community of Port Graham about this is a model to try to
9 address the allotments that really ring that whole bay, so,
10 I don't know, if you'd like Sarah to bring some comments
11 forward.

12 MR. TILLERY: No, I guess I think that my concerns
13 or my interests would be in how this works between a
14 limited development and what's protected and sort of where
15 it is. It sounds like it's not ripe for that discussion
16 yet.

17 MR. HAGENSTEIN: I think that's right, I don't have
18 those details in front of me. And, again, Sarah knows a
19 good bit more about it than I do, but what I would like to
20 do is see if we can develop this into a more thorough
21 proposal that brings in adjacent property owners and
22 whatnot and puts together a package that really works.

23 CHAIRMAN GIBBONS: Jim.

24 MR. BALSIGER: I wonder if you could remind me of
25 what your grant that you signed on September 26th is for

00166

1 and what you do for that grant. I know you've identified
2 13 properties, a million, three. Where's the million,
3 three going to come from and that kind of thing?

4 MR. MEIKLEJOHN: The million, three, as I
5 understand it, is coming from the small parcel account of
6 the Trustee Council.

7 MS. McCAMMON: Up to a million.

8 MR. MEIKLEJOHN: Up to a million, okay. And we've
9 been tasked with completing those acquisitions and finding
10 matching money where possible.

11 MR. BALSIGER: Thank you.

12 CHAIRMAN GIBBONS: Mr. Rue.

13 MR. RUE: I know it's early in your process, you
14 just barely got going, but one of the hopes was that you'd
15 do exactly what you just said, you could bring a lot of
16 things to the table that agencies can't and it sounds like
17 some of that is already happening. Is that right?

18 MR. MEIKLEJOHN: Yeah, that is correct. I mean, we
19 both secured large matching grants already.

20 MR. RUE: Uh-huh.

21 MR. MEIKLEJOHN: For the Anchor and for the Kenai
22 River and there may be other matching funds available for
23 some of these other properties as well. What we're seeing
24 is some constricting of the availability of matching
25 monies, both private and foundation and public granting

00167

1 sources, there's a little bit of a tightening going on
2 right now. So it may be harder than we forecasted to bring
3 in those matching dollars, but they're still out there.

4 MR. HAGENSTEIN: The most challenging part is to
5 bring the private money to leverage additional public
6 money. For example, our coastal wetland grant at the mouth
7 of the Anchor River has a 25 percent non-Federal matching
8 component and in Alaska, these days, for habitat protection
9 grants, non-Federal really means private, although other
10 states take advantage of this and typically bring state
11 funding through various habitat protection programs to
12 bear. But I'm actually very gratified -- again, back to
13 the Anchor and the Kenai and Kachemak Bay are a joint
14 success in bringing both public and private money to the
15 table above and beyond the oil spill funds.

16 MR. RUE: And you've been accounting for that so in
17 the end we'll sort of see a balance sheet? How we
18 leveraged this much to achieve more?

19 MS. McCAMMON: Uh-huh. (Affirmative)

20 MR. RUE: Great.

21 CHAIRMAN GIBBONS: Other comments, questions?

22 (No audible response)

23 CHAIRMAN GIBBONS: Thank you very much.

24 MR. HAGENSTEIN: Thank you very much.

25 CHAIRMAN GIBBONS: Well the next item is GEM and

00168

1 Molly and Phil.

2 MS. McCAMMON: Let me find -- did I have the one
3 handout? I'm getting lost in paperwork here. You have a
4 handout in your packet about a draft process for a
5 Scientific and Technical Advisory Committee, but you also
6 should have somewhere the two pages with 6.1 and I had
7 someone copy it this morning and make 20 copies of it and I
8 don't see that in front of me.

9 DR. MUNDY: You talking about the figure that.....

10 MS. McCAMMON: Let me see, I may have them right
11 here in this stack, which I do.

12 DR. MUNDY: You got it?

13 MS. McCAMMON: Right here, it was buried. As I
14 mentioned in my report, earlier this morning, we've been
15 working with the National Research Council Review Committee
16 and we have had some back and forth discussions.
17 Interestingly, one of the most -- the things they focused
18 the most on is kind of our management process and who gives
19 advice to whom and who directs things and they have had a
20 large amount of interest in this. And we spent a lot of
21 time on this diagram, which replaces -- is a redraft of
22 Figure 6.1 in the GEM Program document that was sent to
23 them at the end of August. And what it gets to, I think,
24 is a lot of concern about it's -- it kind of reflects that
25 same top down/bottom up dichotomy that a lot of scientists

00169

1 debate, too, on whether the ecosystem is really driven by
2 the predators and the large mammals at the top or whether
3 it's all driven by the plankton at the bottom. The same
4 way, it's whether the program is being driven by the
5 Trustee Council on the top or the scientific advisors
6 feeding at the bottom.

7 MR. RUE: You mean the bottom feeders?

8 MS. McCAMMON: The bottom feeders.

9 MR. HINES: The bottom feeders.

10 MS. McCAMMON: Really, there was a lot of
11 similarity to the discussion.

12 (Laughter)

13 DR. MUNDY: Thank you, Bill.

14 MR. HINES: Sorry.

15 MS. McCAMMON: So we spent a lot of time with this
16 process of what role each of these groups have in the
17 process and where the advice comes from and who will do the
18 peer review and how it will be done. And we came up with
19 this draft that, I think, does a good job of reflecting
20 what vision that staff have and that we've had discussions
21 with the Public Advisory Group and with kind of other of
22 our PIs that we've worked with and I think with the Trustee
23 Council, hopefully.

24 Basically to implement the GEM Program we will have
25 a GEM Program document that you do adopt. Once the NRC

00170

1 gets their report done in April we will revise that
2 document and bring it back to you and actually ask you to
3 formally adopt it at that time. We put in here a
4 commitment to have an external review committee every five
5 years, which the NRC really liked and would like to see a
6 formal commitment to doing that. What this reflects is
7 basically the kind of advice that we have now, but done in
8 a little bit different way. The public still has a direct
9 conduit of advice, review and comment to the Trustee
10 Council. We have kind of a reconstituted PAG that, under a
11 scenario we're looking at now, we call it Program Advisory
12 Committee that has stakeholders, communities and
13 scientists.

14 And then we have a new Scientific and Technical
15 Advisory Committee, which basically would replace our
16 existing Core Committee. And our existing Core Committee
17 is led by Dr. Spies and includes George Rose, Pete
18 Peterson, Jim Reynolds from the University of Alaska-
19 Fairbanks, Steve Braund and Allen Springer from UAF. And
20 then kind of at the very bottom there would be a group of
21 subcommittees that would be divided for organizational
22 purposes, similar to how the program now -- document is
23 divided in terms of the four major habitat areas, the
24 Alaska Coastal Current, watersheds, nearshore, offshore and
25 also have a data management subcommittee or advisory group.

00171

1

2 And so this kind of describes the overall advice.

3 The way we have this done here, the Scientific and

4 Technical Advisory Committee or STAC feeds information and

5 advice to the Director and staff, who basically organizes

6 it and then feeds it to the Trustee Council. The reason

7 for having it go through staff is so that it wouldn't have

8 to be a FACA approved committee, which our Public Advisory

9 Group is required to be. And so the committee doesn't

10 report directly to the Trustee Council, although it's

11 pretty direct. I mean, it would basically be just going

12 through Director and staff for organizational purposes.

13 In your packet, what we put together, in order to

14 get this program under way and get things moving by next

15 October, 2002, we put together just a draft description of

16 these committees, of their purposes, membership, a

17 nominating process for the STAC, the subcommittees and work

18 groups. We put this together a few weeks ago, circulated

19 it to a small group, incorporated some changes based on the

20 advice from those individuals. In a lot of cases, not all

21 cases, but in some cases there were differing views on

22 various issues and those are the issues, actually, in the

23 document that are still highlighted by questions, in all

24 caps and in bold, those are still kind of open-end

25 questions because there were differing views on those and

00172

1 you could certainly go three different perspectives.

2 We had a little bit of a concern here because we
3 don't want to, again, prejudge the NRC report and yet on
4 the other hand we don't want to wait until April and May to
5 get things going on some of these things. In a
6 conversation that I had with the chair of the NRC Committee
7 last week, they are very clear that they think the STAC and
8 how we have it -- not necessarily the membership details,
9 but that is, like, a very key part of the entire process.
10 They think actually that the subcommittees, they're not
11 convinced that we need that many subcommittees and they
12 kind of see those as maybe being developed over time, but
13 that the STAC is really the most important part of the
14 scientific advisory process.

15 In putting this together I realized that it hasn't
16 had a lot of circulation and review and comment, especially
17 from the Trustee agencies because it just appeared in your
18 packet, you know, four or five days ago or whatever. And I
19 know it's listed in here as a potential action item and
20 actually what I would like to get from you today is maybe
21 some questions, some comments, if possible, and hopefully
22 your approval to go forward on establishing the nominating
23 committee for the STAC. And then come back to you at our
24 next meeting with maybe some revisions after having further
25 circulation and discussion with kind of the membership and

00173

1 process for the STAC itself.

2 So with that I could go through these and just kind
3 of highlight where the questions and the issues are, and
4 Phil has been actively involved in this process, and is
5 here to answer any questions also. So does that sound
6 okay, Mr. Chairman?

7 CHAIRMAN GIBBONS: Yes.

8 MS. McCAMMON: Okay. So basically what we're
9 trying to do is formalize, to a larger extent, our
10 scientific advisory process and make it as inclusive as
11 possible. And also to really reflect that we view guidance
12 within this process as being both top down and bottom up.
13 That the Trustee Council does develop the overall program,
14 does make funding decisions, does adopt a plan and a
15 program, but it's significantly based on the advice of the
16 public and scientists from within our program community,
17 with the Trustee agencies, within the university, both in
18 state and out of state.

19 We have done extensive networking over the past
20 year to two years, we have developed a tremendous contact
21 list now. There is a lot of excitement about the potential
22 for this program, especially because it does have
23 guaranteed funding that is not subject to congressional or
24 state legislative appropriation. That provides just an
25 incredible opportunity for a long-term program in this

00174

1 area. And so there are a lot of people who are very
2 interested in participating in this kind of a program.

3 So the STAC would be the main programmatic
4 scientific and technical committee. We see it as just not
5 scientists, and the technical advice would include
6 specialties, such as community involvement, mariculture,
7 subsistence, human impacts, kind of some of those things
8 that may not be directly from a scientist, but we see that
9 as being important.

10 The purposes of the STAC would be to select the
11 subcommittee members, if there are subcommittees, to work
12 with them to provide leadership in identifying and
13 developing testable hypotheses relevant to the central
14 questions of the GEM Plan, consistent with the mission
15 goals and policies of the Council. To help identify and
16 recommend syntheses, models, process studies and other
17 research activities for the invitations. To work with
18 subcommittees and ad hoc work groups in identifying core
19 monitoring variables and core monitoring stations. To help
20 staff in identifying peer reviewers and participate in peer
21 review at the broad programmatic level. We wanted to
22 basically continue the process that we began with the core
23 reviewers of having a group of individuals who were
24 familiar with the entire program who really saw the big
25 picture and saw how things fit together over time.

00175

1 The membership of the STAC -- the STAC seven voting
2 members, the original proposal is six regular members
3 appointed by the Trustee Council and the GEM Chief
4 Scientist. The big question there is should staff be a
5 voting member? I think the more circulation we have on
6 this, the more people say no to that. And there are lots
7 of reasons, I think, to have and not have staff as a voting
8 member on that. The six Trustee Council members shall be
9 drawn from the academic or private scientific sectors, no
10 more than four; from the government sector, no more than
11 two; and from the technical sector, one; and shall together
12 possess expertise in the habitats and disciplines of the
13 Alaska Coastal Current and offshore, the intertidal and
14 subtidal, the watersheds, modeling, resource management,
15 human activities and their potential impacts and community-
16 based science program. So the big question there is the
17 breakdown appropriate among the academic or private,
18 government and technical.

19 At least four of the STAC members will also serve
20 on the Program Advisory Committee, which would be the
21 reconstituted Public Advisory Group. And this was
22 something that was really recommended by the Public
23 Advisory Group, they want these kind of broad-visioned,
24 broad-based scientists meeting with them on a regular basis
25 to facilitate and kind of foster that interaction between

00176

1 the public stakeholder perspective and scientific
2 perspective. And so this aspect was strongly supported by
3 the PAG.

4 The members of the STAC are emeritus and senior
5 scientists and others selected primarily for their
6 expertise, broad perspective and leadership in areas
7 important to the GEM Program. They cannot be principal
8 investigators for GEM projects, they cannot receive GEM
9 money. They would then be truly independent.

10 We have on here that the chairs of the five
11 subcommittees shall be non-voting members of the STAC. The
12 question -- and the reasons for having the chairs of the
13 subcommittees on the STAC, to begin with, is that so that
14 everybody knows what's going on and what the others are
15 doing. So to foster program coordination. There is a
16 concern that it now makes the STAC a 12-member committee.
17 Is that too large? As you go down into the subcommittees,
18 there's not a prohibition on the subcommittees from being
19 PIs. So there is a question there, the chairs of the
20 subcommittees could potentially be receiving funds. That
21 was one of the reasons we made them non-voting members but,
22 you know, there's some question there.

23 We have some issues of terms here, the regular
24 members serving single terms of three years and then
25 staggering them to begin with. We had a period of layoff

00177

1 for three years. Most of the discussion we've had in the
2 past few days, most people seem to think that's too long
3 and that the layoff period should be no longer than a year.
4 And then in the event of a vacancy, shall appoint a
5 replacement.

6 The nominating process would be as follows. I
7 would issue a public call for nominations to serve on the
8 STAC, would identify the types of expertise and
9 qualifications. Any person could nominate someone, the
10 Trustee Council could nominate someone, you could nominate
11 yourself. You would, basically, just have to fill out a
12 synopsis and form of qualifications. A nominating
13 committee would convene to develop a recommended list of
14 six nominees with two alternates. The committee could
15 suggest other names if there appear to be gaps. If there
16 appears to be really significant expertise that's missing
17 in the people who were nominated in that call. The list of
18 nominees would be forwarded to the Trustee Council by the
19 Executive Director.

20 The nominating committee would be composed of seven
21 members who are not regular employees of agencies
22 represented on the Trustee Council and who are not
23 currently receiving financial consideration from the
24 Trustee Council. We had a lot of discussion about this and
25 about whether Trustee agency employees should be prohibited

00178

1 from serving on the nominating committee when they aren't
2 prohibited from serving on the STAC. You know, it also
3 raises questions because there's some agencies, for
4 example, NMFS employees probably have very little contact,
5 a number of other divisions in NOAA. There's not a huge
6 amount of conflict there and the same with the Department
7 of Interior, there's often quite a bit of difference there
8 between the agencies. So there was discussion on that
9 issue.

10 The members shall be professionals and other
11 members of the public familiar with the development and
12 operation of regional marine monitoring programs similar to
13 GEM. Shall be at least three members who reside in Alaska.
14 Is this a sufficient number? A STAC nominee may not serve
15 on the nominating committee. And I would recommend to the
16 Trustee Council a nominating committee composed of
17 individuals who meet the above criteria and have agreed to
18 serve and the Trustee Council would appoint the members of
19 the committee.

20 They would then select their chair, establish a
21 process for developing a recommended list. And there was a
22 question, we had some discussion about whether there should
23 be a more established formal process for developing the
24 list. They could suggest other names. And then they would
25 give the list to the Director and she'll submit them to the

00179

1 Council for its action.

2 Then we kind of go through the subcommittees, who
3 would work more at kind of the detailed level and would be
4 composed of five individuals, scientists, resource
5 managers, and/or other experts, selected primarily for
6 disciplinary expertise, familiarity with the broad habitat
7 type and also institutional and profession affiliations in
8 order to promote collaboration and cooperation. Each
9 subcommittee member serves three years. We didn't put
10 language in here about being laid off and rejoining, so I
11 guess we just considered that, but we have to address that.
12 And we have down here that they may include principal
13 investigators of GEM projects. We were a little worried
14 that getting down to the habitat level if we prohibited PIs
15 from serving on the subcommittees that we may not have a
16 large enough pool of people to select from. There was some
17 discussion at the PAG yesterday about maybe just
18 prohibiting the chair from being a PI. And I would issue a
19 public call for nominations and the STAC would review the
20 nominees and make recommendations to the Council for their
21 consideration.

22 Work groups would basically be much more informal,
23 task oriented, kind of time-defined groups for a particular
24 task. We have those now for a number of purposes.

25 So that's just real briefly kind of a summary of

00180

1 the organization. One of our challenges have been to try
2 and figure out a process that gives us a high amount of
3 scientific credibility, inclusiveness, but isn't so kind of
4 large and cumbersome that we -- for such a small program
5 that we just kind, you know, drowns in its own weight. In
6 our discussion with the Public Advisory Group yesterday
7 they actually suggested that we kind of cost out this
8 option at its maximum cost, try to do a high and a low cost
9 scenario, especially when you get to subcommittees. And if
10 you had meetings of those or if they were, in effect,
11 virtual subcommittees where they did more work by e-mail,
12 so there was a lot of discussion still at that level. So I
13 think we haven't quite addressed all of those issues at the
14 subcommittee level. At the STAC level there are couple of
15 big issues still, but I think it's very clear we want to
16 form a more formalized Scientific and Technical Advisory
17 Committee.

18 So, in order to get kind of moving on this process,
19 what we would like to do this spring is -- under our
20 current process we have the invitation go out February
21 15th, proposals are due April 15th. We have our core
22 review group meet here in Anchorage usually the third week
23 of May, they review all the proposals and develop -- we
24 work together and develop the first draft recommendation.
25 This year what we would like is to have that happen again,

00181

1 but have this new STAC meet kind of at the same time or
2 with some overlap, so the first group meets and continues
3 their advice on the oil spill, lingering oil injury part of
4 the program and the new group start looking at GEM and the
5 future part of the program. There would be some overlap
6 and a joint meeting at that time. So in order to kind of
7 keep along in that process we need to probably start the
8 nominating process in January and get that underway.

9 CHAIRMAN GIBBONS: Jim.

10 MR. BALSIGER: How are STAC members compensated, is
11 there a stipend for each day they work or have you thought
12 about that?

13 MS. McCAMMON: They would definitely get travel and
14 per diem. There is a question about a stipend, that's an
15 issue that needs to be addressed. Government employees
16 can't take stipends, but certainly private people usually
17 do. And I think we'd look at other entities like the
18 Council and others. It certainly adds to the costs.

19 MR. BALSIGER: How about subcommittees, same
20 question or is that down one level so it's less likely?

21 MS. McCAMMON: I think it's less likely for the
22 subcommittees for the stipend. Certainly travel and per
23 diem. And then we've talked about, you know, how do you --
24 we do have this large list of people who are very
25 interested in the program and I'm sure if you have meetings

00182

1 more in July and August during fishing season they're more
2 likely to come up here than January and February, but I'm
3 not sure that really fits within our process of review
4 either.

5 Do you have a view on that, whether stipends are
6 essential?

7 MR. BALSIGER: I think they are, actually, but
8 obviously adds directly to the cost estimates, but I think
9 they should be.

10 MS. McCAMMON: That would be part of the cost,
11 right.

12 MR. BALSIGER: And the other thing I probably
13 should state for the record is that in spite of your
14 disparaging comments, all elements of NOAA work together
15 for a common purpose.

16 (Laughter)

17 MR. RUE: Seamless.

18 UNIDENTIFIED VOICE: What did you guys give him for
19 lunch?

20 MR. RUE: Seamless.

21 MS. McCAMMON: Seamless. I didn't say they worked
22 against each other.....

23 MR. BALSIGER: Oh, okay, I misunder.....

24 MS. McCAMMON:I just said they may not know
25 about the others.

00183

1 CHAIRMAN GIBBONS: Mr. Rue.

2 MR. RUE: I guess my first comment is -- I guess I
3 have a lot of questions, because I'm not sure what it is.

4 MS. McCAMMON: Yeah.

5 MR. RUE: I've just gotten a chance to look at it.

6 MS. McCAMMON: Right.

7 MR. RUE: So I'm not sure we can nominate people in
8 January, that seems very ambitious. In fact, this is
9 really.....

10 MS. McCAMMON: Well, we would be nominating the
11 nominating committee in January.

12 MR. RUE: Well, I think we need to think about this
13 whole structure, make sure everyone's comfortable with it
14 before we start nominating nominating committees. You all
15 have obviously had a lot of conversations that none of us
16 have been in, so you may have talked about a lot of these
17 things.

18 MS. McCAMMON: Right.

19 MR. RUE: But my first reaction is this is about 30
20 people plus some scientists over in the PAC, I mean, I
21 don't even know what this PAC is. These are a lot of
22 scientists, I don't know where you find all of them, but --
23 so I don't know how the PAC and the SAC or the STAC and PAC
24 relate to each other because you can have scientists over
25 here telling us things and over there telling us things. I

00184

1 also worry that with all these subcommittees, at least if
2 you think about are we creating -- are we encouraging a
3 narrowing of perspective? So now you got the nearshore
4 guys, that they want their piece of the action and the
5 coastal current guys want their piece and watershed people
6 want theirs, as opposed to everybody now has a geographic
7 limit to their thinking, theoretically. I mean, why do we
8 want to do that?

9 MS. McCAMMON: Well.....

10 MR. RUE: I mean, it's a question.

11 MS. McCAMMON:it's a very good question and
12 that's a very legitimate concern and we have spent a lot of
13 time and the people who have been involved in this process
14 have probably seen a number of iterations of how you
15 organize a large program. And just going through the Work
16 Plan today you need to divide it up into clusters of some
17 way.

18 MR. RUE: Of something, I agree.

19 MS. McCAMMON: Of something for organizational
20 purposes. People cannot understand a program without some
21 form of dividing it into smaller pieces. And we've looked
22 at various ways of doing it, whether it's clusters of
23 species, marine mammals, fish, birds, we've looked at it --
24 we had one process where we were looking at some kind of a
25 process that would be kind of the idea of a process in

00185

1 building a program around that particular process. Most
2 people didn't understand it because they didn't see where
3 they fit in. Use of habitats, like this, has been one that
4 people have been able to easily understand, they can see
5 where they fit in. It would be important in all of these
6 habitats to have a variety of expertise and it is really up
7 to the Scientific and Technical Advisory Committee to make
8 sure that the connections between all the habitats are
9 emphasized and that it doesn't just become a nearshore
10 program, a watershed program, just for individual pieces.
11 But you're very right, it's a legitimate concern.

12 MR. RUE: I guess the main thing I worry about is
13 how we move ahead intelligently, and maybe we should just
14 read it.....

15 MS. McCAMMON: Well, that's why -- you know, when I
16 started putting this together, you know, I just thought
17 there's no way we're going to get any action on this today.

18 MR. RUE: 4:00 o'clock, I know. It's sort of
19 numbing at 4:00 o'clock after a full day.

20 MS. McCAMMON: But the idea is to actually start
21 the discussion though.

22 MR. BALSIGER: Well, to start the bias early on
23 I'm.....

24 (Laughter)

25 MR. BALSIGER:generally opposed of having

00186

1 committees composed of members some of who get to vote and
2 some of who don't, so that's going to be -- that's a
3 continuing bias of mine, I believe.

4 MS. McCAMMON: Okay. So anybody that doesn't vote
5 should be on the committee, they can come attend, but
6 they're not on the committee, call them something else.

7 MR. BALSIGER: Call them something else, but
8 just.....

9 MS. McCAMMON: Uh-huh.

10 MR. RUE: I guess I'd like to talk a little bit
11 about our processes as a Council, how we want to think
12 about this and then decide on it. I don't feel like
13 rushing -- we've been given a good intro, it's an
14 interesting proposal, they've already raised some of the
15 questions. I mean, the first thing that popped into my
16 mind is maybe at our next meeting we ought to have a couple
17 of hours around this subject with a panel of folks who have
18 thought about it a lot to discuss it -- I know, some way
19 for us to work through this and finish our business fairly
20 quickly, but without tagging it on the end of a meeting.

21 CHAIRMAN GIBBONS: Yeah, then costing it out, you
22 know, how much.....

23 MR. RUE: Then costing out.

24 CHAIRMAN GIBBONS: Yeah, costing it.

25 MR. RUE: And really devote some time to it because

00187

1 this is -- I think you're right, this is an important
2 decision because GEM sets up lots of policies and things,
3 but this is how the rubber meets the road, so I think we
4 need to think about it hard. So I guess I'd like to,
5 maybe, hear some suggestions on how we make the decision on
6 more process stuff.

7 MS. McCAMMON: You mean process in terms of
8 getting.....

9 MR. RUE: Internal -- the Council.....

10 MS. McCAMMON:internal process getting to
11 your decision, yeah.

12 MR. RUE: Us feeling comfortable this is the way to
13 go.

14 MS. McCAMMON: Yeah.

15 MR. RUE: Making sure we got the right basic
16 structure and we got the right voting set up or the right
17 subcommittees and just chew it around our -- maybe no one
18 else feels unprepared to deal with this, but I just feel a
19 little unprepared to make any significant decisions today.
20 I also feel the press of the day, plus I know it's going to
21 be hard to move between now and January.

22 MS. McCAMMON: Right.

23 MR. RUE: A lot of people are going to be gone
24 doing other things, et cetera, holidays.

25 MS. McCAMMON: Right.

00188

1 MR. RUE: But if you want to nominate in January --
2 eek.

3 MS. McCAMMON: One of the things we could do if you
4 would be willing to identify, and I don't want this just to
5 be a work group of agency people, because I think it's
6 really valuable to have kind of non-agency and whether it's
7 public, academic, private people, but an ad hoc working
8 group on this issue. We can provide some of the costing
9 information, we could try to fully flesh this out a little
10 bit more, you could have an agency representative on that
11 work group, so somebody who talks to you maybe more
12 frequently on this issue and flesh some of this out. And
13 then devote -- have a Trustee Council meeting with this on
14 the agenda and have more time.

15 CHAIRMAN GIBBONS: In January?

16 MS. McCAMMON: It would probably not be until --
17 just because of our workshop it's probably not going to be
18 until either the last week of January or early February,
19 that would be the earliest it could be. You're laughing.

20 MR. BALSIGER: Well, we got a Council meeting in
21 February, you could make it the 11th day of Council again.

22 (Laughter)

23 MS. McCAMMON: That would put you in a good mood.
24 How about the first day of the Council meeting or the day
25 before?

00189

1 MR. RUE: It's a distraction.
2 MR. BALSIGER: Well, actually.....
3 MS. McCAMMON: But does that.....
4 MR. BALSIGER: Mr. Chairman, I'm sorry.
5 CHAIRMAN GIBBONS: Go ahead.
6 MR. BALSIGER: I think Mr. Rue is completely
7 correct, this is a very important part of how GEM is going
8 to work and I think you've done a great job of laying out
9 some alternatives here, but I think it does deserve some
10 thinking about it a little bit before decisions are made.
11 MS. McCAMMON: Uh-huh.
12 MR. BALSIGER: Unfortunately, I think that does
13 mean other than a teleconference, that you need another
14 Trustees face to face meeting as soon as it can be
15 scheduled next year. And that's difficult, but that would
16 be my recommendation.
17 MS. McCAMMON: Okay.
18 CHAIRMAN GIBBONS: Mr. Rue.
19 MR. RUE: Mr. Chairman, who actually put this
20 together, was this you and Phil?
21 MS. McCAMMON: Yeah.
22 MR. RUE: Just the two of you?
23 MS. McCAMMON: Yes, then we had it reviewed by, I
24 don't know, five or six other people.
25 CHAIRMAN GIBBONS: You say the PAG took a look at

00190

1 it yesterday?

2 MS. McCAMMON: They looked at it yesterday, yeah.

3 MS. BLACKBURN: To be real, I think, honest, we
4 trusted Molly but we really didn't know what to -- why it
5 was happening or where it was happening or what was
6 happening.

7 MR. MEACHAM: I think between now and January the
8 individual PAG members are looking at it in a great deal of
9 detail because there's a lot there.

10 MS. McCAMMON: We spent a lot of time yesterday
11 with the PAG also talking about reconstituting the PAG.
12 Because in order to do that, the charter needs to be
13 redone, new nominations and that whole process, we need to
14 get that underway also, and so we did spend time -- and I
15 haven't even brought that to you, yet, because we're still
16 working kind of at the PAG level on that. But we'll also
17 be bringing that to you probably in February or so, is a
18 proposal on redoing the Public Advisory Group.

19 CHAIRMAN GIBBONS: Phil.

20 DR. MUNDY: Mr. Chairman. For the record my name
21 is Phil Mundy. I just wanted to assure the Council that
22 this document is a composite of scientific advisory
23 committees. I've served on the Scientific Statistical
24 Committee for the North Pacific Fisheries Management
25 Council, the Research and Statistical Committee for the

00191

1 Pacific Salmon Commission, the Independent Scientific
2 Advisory Board for the National Marine Fishery Service and
3 I sure have, in my career, attended a lot of meetings of
4 these kinds of groups. So what Molly and I tried to do in
5 putting this together was to provide you with a composite
6 of the rules of procedures and how these things work. So
7 that you've got a menu here, if you choose to have a
8 scientific advisory process, a Scientific Advisory
9 Committee, you've got a menu here from which you can choose
10 the options. And Molly has highlighted some of the
11 significant questions that have been raised by others.

12 We had a team of five other people who have similar
13 backgrounds to my own, who served on a lot of advisory
14 committees and science advisory committees, go over this
15 thing and ask us some questions and we got a lot of, I
16 think, good feedback from the PAG yesterday. So I think
17 you've got a competent menu here. I guess there are some
18 bigger policy issues here.

19 MS. BROWN: Mr. Chair.

20 CHAIRMAN GIBBONS: Michele.

21 MS. BROWN: A question, Phil. Is this draft that's
22 in front of us, does that reflect some of the comments that
23 you got from the PAG, did you have time to do that?

24 MS. McCAMMON: No, it has not been changed.

25 DR. MUNDY: No.

00192

1 MS. BROWN: Because I'm wondering if perhaps you
2 could circulate summaries of that, so that as we're
3 reviewing this we could look at that. That was my first
4 comment. And, obviously, you know, enough of the Council
5 is bothered by -- we're not going to be able to take any
6 action, it's just too fundamental, as Frank said, it's
7 where the rubber is going to meet the road, but I'm
8 wondering, Molly, are there any actions that you could be
9 taking or we could say -- would encourage you to take that
10 would not slow us down so dramatically? Some things that
11 would have to be done in terms of solicitation or whatever,
12 no matter how the final decisions are made so that we don't
13 wait until the decisions are made and then start?

14 MS. McCAMMON: Well, the key one is starting to
15 contact people and see if they would be willing to serve on
16 the nominating committee. And that -- I mean, just saying
17 yes, there will be a nominating committee who will review
18 applications and make recommendations, that is the key one,
19 that's probably the first step of all.

20 MS. BROWN: With no guarantee that they would
21 actually sit on that committee until.....

22 MS. McCAMMON: Right. Right, until you met and
23 approved it, yeah.

24 MS. BROWN: That probably is.....

25 MR. RUE: I don't think that's a problem, I don't

00193

1 know.

2 MS. McCAMMON: I mean, that would be helpful to
3 start talking to people that there will be a nominating
4 committee and would you be interested in serving and just
5 kind of getting that list together would be helpful to
6 start that process now.

7 MR. RUE: I can't imagine that we're not going to
8 have a Scientific and Technical Advisory Committee of some
9 sort.

10 MS. McCAMMON: Right.

11 MR. RUE: So I think probably asking for a
12 nominating committee to find out who -- but I think all
13 those other questions about what their role is, how many
14 are in Alaska, out of Alaska, how many subcommittees?
15 Those are all good questions, process stuff.

16 MS. McCAMMON: I mean, your other choice is that
17 you don't have a nominating committee, that you take all
18 the nominations yourself and you sit in a room and you
19 decide. I mean, I think that's the other option on
20 developing the committee, or just having staff look at it
21 and doing it. And I really strongly recommend that we do a
22 nominating committee, I think it's really to your benefit
23 and to the program's benefit.

24 MS. BROWN: I agree.

25 MS. PEARCE: Now, will that committee be made up of

00194

1 people from within our agencies?

2 MS. McCAMMON: Well, the way we have it now,
3 actually, it's who are not regular employees, so that is an
4 issue. And what we could do, if that issue hasn't been
5 decided, just put one that includes a broad variety of
6 people, that includes agency people and non-agency people
7 and then we'll come to that decision after some more
8 discussion.

9 MS. BROWN: You mean start as broadly as possible.

10 MS. McCAMMON: Yeah.

11 MR. RUE: So if we wanted to make the final
12 decision of, yes, this is the structure process, et cetera,
13 how do we get from here to there by February? Just take
14 that home and.....

15 MS. McCAMMON: What I would say is you could
16 identify someone -- if we could put together a work group
17 to more fully flesh out these issues and maybe come up with
18 a little bit more developed recommendation and then have
19 that circulated to you and then actually set a meeting
20 where you have enough time to discuss it and then make a
21 decision.

22 MR. RUE: Okay.

23 CHAIRMAN GIBBONS: Okay. So when do you want the
24 nominations or name by?

25 MR. RUE: So you want the name of someone for a

00195

1 work group?

2 MS. McCAMMON: Well, we would start putting
3 together some members.....

4 MR. RUE: Work group from the Council?

5 CHAIRMAN GIBBONS: Yeah, from the Council

6 MS. McCAMMON: Oh, the work group, yes. Well, as
7 soon as possible would be helpful. Next week?

8 MR. RUE: Okay, sure.

9 MS. PEARCE: And this is for what next week?

10 MS. McCAMMON: This is for a work group to look at
11 this proposal and.....

12 MR. RUE: So your staff.

13 MS. McCAMMON:more fully develop it. And I
14 think also important to get some non-agency and public
15 people on it, too, so we'd look at some of those.

16 MS. PEARCE: Well, I want to have an opportunity to
17 take this back to the Secretary Science Advisor and I'm
18 just not sure of his availability.

19 MS. McCAMMON: Uh-huh.

20 MS. PEARCE: So I'll get it approved as quickly as
21 possibly. But I'll set a VID and USGS is diverse -- or our
22 science agency.

23 MS. McCAMMON: Yeah. And actually Bill Seitz was
24 one of the people that we actually had look at it
25 originally, so he has seen it and is familiar with it.

00196

1 MR. BALSIGER: But these several pages, I gather
2 then, are what the new group would be working on, so we'd
3 be in better shape in February?

4 MS. McCAMMON: Yes.

5 MR. RUE: These which pages?

6 MR. BALSIGER: Several, I said, I think there's
7 four of them.

8 MR. RUE: Right, with the questions.

9 MS. McCAMMON: Right, right. Maybe there wouldn't
10 be as many questions listed on here.

11 MR. BALSIGER: I'd expect there would be more,
12 but.....

13 MS. McCAMMON: Probably more.

14 MR. RUE: I mean, I see it as us each finding
15 someone who we can kind of work with as our science person,
16 who can work with you

17 MS. McCAMMON: Uh-huh.

18 MR. RUE:so that when we have to make
19 decisions, we can say, yep, boy, that's a smart decision.

20 MS. McCAMMON: Right.

21 MS. BROWN: It's called a yes man.

22 MR. RUE: I know we're all brilliant people, know
23 all this stuff. So you'll let us know.....

24 MS. McCAMMON: Well, then your former science
25 person, Gordon Kruse, was also one of the other people who

00197

1 looked at this already, so.....

2 MR. RUE: Good. Good.

3 MS. McCAMMON: But the university snatched him up.

4 MR. RUE: Well, that's good. And I may feel real
5 comfortable having talked to him about it.

6 MS. McCAMMON: Yeah.

7 CHAIRMAN GIBBONS: I don't think we've come down to
8 when you want the names by?

9 MS. McCAMMON: Oh, can we have them by -- is it
10 possible by next Monday? Is that too soon?

11 MS. PEARCE: And these are people to work with
12 you.....

13 MS. McCAMMON: Just somebody to work with us.....

14 CHAIRMAN GIBBONS: To work on fleshing out.....

15 MS. McCAMMON:in a work group on this.

16 MR. RUE: That we can also talk to just to work
17 with us.

18 MS. McCAMMON: Yeah.

19 MR. RUE: Great.

20 MS. McCAMMON: Is Monday okay?

21 MR. RUE: Yeah.

22 MS. McCAMMON: Okay. And I'll send you an e-mail
23 reminder.

24 MS. PEARCE: No, you can't send me an e-mail.

25 MS. McCAMMON: Oh, that's right, I'll fax you.

00198

1 MS. PEARCE: But that you could.

2 MS. McCAMMON: Fax to DOI.

3 MS. PEARCE: See if you can find me.

4 (Laughter)

5 MS. McCAMMON: If you're not reachable by e-mail

6 you don't exist.

7 MS. PEARCE: That's right. That's how I'm feeling

8 anyway.

9 MS. McCAMMON: Okay. Great. One last item.

10 CHAIRMAN GIBBONS: One last item.

11 MS. McCAMMON: Yeah.

12 CHAIRMAN GIBBONS: How did you manage to be last?

13 MS. FRIES: We worked real hard at that.

14 MS. McCAMMON: We just wanted to make sure that if

15 we knew that there was an open house and food at the end,

16 that there wouldn't be the tendency to go long.

17 (Pause - setting up equipment)

18 MS. FRIES: Okay. My name is Carol Fries and this

19 is Russell Kunibe from the Department of Environmental

20 Conservation, and we've been asked to give you a briefing

21 on the status of CIIMMS, which was originally the Cook

22 Inlet Information Management and Monitoring System. It was

23 a project funded by the Trustee Council in fiscal year '99

24 and we will provide you with some background information

25 and then give you a brief indication of how the system

00199

1 works.

2 CIIMMS is a tool that you can use to access data
3 and information on natural resources through multiple and
4 simultaneous search avenues. The project was instituted --
5 in 1998 there was a need identified through the Cook Inlet
6 areawide lease sale. And as you can see by this
7 development timeline, it developed in phases through a two
8 and a half year period. The objective that evolved out of
9 the Cook Inlet areawide lease sale stakeholder process was
10 to ensure that adjudicators, researchers, regulators and
11 the public are able to access all pertinent research and
12 information relevant to a particular natural resource
13 decision and speak from a common knowledge base.

14 The problem that people experienced was that data
15 was hard to find and access, it wasn't always well
16 described or particularly useful, there wasn't one place to
17 go to get the information. We found that we were losing
18 access to historical information and the integration of
19 data and information was difficult and technological access
20 was extremely variable throughout different parts of
21 different parts of the state. As we embarked on this
22 project we identified certain design principles that we
23 wanted to adhere to, so that this project could be
24 sustainable over time. We wanted it to be easily
25 maintainable, sustainable in the long term, accessible to a

00200

1 wide variety of users. It needed to be extensible because
2 technology is rapidly changing and if it isn't made to be
3 extensible, we would not be able to take advantage of
4 changes in technology as they occur. And another thing
5 that we wanted to make sure that we did was build on other
6 efforts, so that we weren't reinventing the wheel and we
7 could learn from what other people had done and benefit
8 from those efforts.

9 And one overriding philosophy that guided us
10 through this entire process was that the entity that was
11 responsible for creating the information and the data is
12 the one responsible for maintaining it and providing it and
13 describing it. They are the people that are most familiar
14 with it and it's a principle, I think, that causes the
15 least amount of conflict and overhead.

16 The approach that we followed was to initially
17 identify the users, we surveyed the users regarding the
18 functionality and the data that they felt they needed on a
19 regular basis. We conducted a user need analysis workshop
20 that was attended by over a hundred people and it spanned,
21 I believe, three days. There was a subsequent analysis of
22 workshop results. Out of the workshop results evolved a
23 prototype design. The prototype was developed and the
24 project team went back to the user base and conducted
25 outreach and to solicit feedback that then formed the basis

00201

1 for the final system design. And if you go to the CIIMMS
2 Website there is a page title about CIIMMS, which gives you
3 basically a history of the project, all the documentation
4 for the project is there. The results of these needs
5 analysis and what we had hoped to do on this page is
6 provide a blueprint if there is a component of CIIMMS that
7 can be useful to someone else. That information is
8 available here. And the final report has been added to the
9 page.

10 The user need analysis, we found out that users
11 wanted to know, first, what information is available, how
12 can they discover it, where's it located and how can they
13 get it. On line analysis was a little further down the
14 line, but it was a longer term goal. The initial data
15 inventory analysis showed us that there was a lack of
16 statewide standards for data format and documentation.
17 There was also a lack of a geographic component for much of
18 the available synthesized information and for some tabular
19 data, and not all high-priority data that our users
20 identified was available digitally. And we also found that
21 data could be in a variety of databases, in a variety of
22 software formats and it was of varying and often
23 undocumented quality.

24 We encountered a fair number of technological
25 constraints. First and foremost was that our users were

00202

1 equipped with a variety of computing platforms, they
2 weren't consistent in terms of speed, they weren't
3 consistent in terms of Internet connection speeds and
4 computing power. We were tasked with implementing a
5 distributed approach to this project, which requires
6 consistent application and use of standards. We looked at
7 opened GIS as a potential solution, but it is an emerging
8 technology and with that comes risk and potential problems.
9 Data providers were inconsistent, they were using different
10 Web accessible technologies and one constraint, which is
11 not necessarily a constraint, it can be viewed as actually
12 a benefit. There are clearinghouses that are already
13 established.

14 The other thing that played into some of our
15 decision-making process was institutional constraints.
16 Data ownership and control is an issue, there is concern on
17 the part of some individuals about the misuse of data
18 that's made available. Some people are just reluctant to
19 share their data. Some people don't want to share their
20 data until after they've published, and that's
21 understandable. Oftentimes the institutional inertia can
22 be a problem, it becomes one more thing that people have to
23 deal with and people are already working very hard.

24 Another problem was the primary use of data versus
25 the secondary use. You may collect data for a specific

00203

1 purpose, and it may have utility to someone else, but it
2 may require some steps to make it useful for the secondary
3 application and that's an investment that oftentimes the
4 creator of the data doesn't have the time, the willingness
5 or the money to make. And that also points to a lack of
6 resources. And one potential problem with the initial
7 phase of the project was that the project had a limited
8 geographic scope, by design, so that it was manageable and
9 oftentimes some agencies' jurisdictions do not -- they
10 don't lend themselves to a finite area.

11 So we looked at the constraints and the needs in
12 the context of our design principles and came up with a set
13 of system parameters. We determined that the project
14 needed to be Internet based, the processing power needed to
15 happen on our server or a distributed server, rather than
16 on the user's end. And that takes care of the issue of
17 varying users' software and hardware capabilities. We
18 decided on a hybrid centralized and distributed system, and
19 that was necessary in order to accommodate the fact that
20 not all entities are at the same point in development time
21 in terms of making themselves able to take advantage of a
22 distributed system. We decided to focus on who has what
23 data and where that data resided. We decided that the
24 project would be developed in phases according to the
25 identified user needs and the user needs analysis workshop

00204

1 We committed to multi-agency implementation. The project
2 team consisted of representatives from EPA, the U.S. Forest
3 Service, U.S.G.S, Fish and Game, DNR and DEC. And we were
4 looking for ways for users to contribute their own
5 information, that removes a lot of the overhead from long-
6 term maintenance of the project. In other words, people by
7 contributing their own data, no one entity is responsible
8 for looking after everybody's data and information.

9 And as a result this is the architecture that we
10 came up with. We had a contractor, Science Applications
11 International, Corporation that worked with us. The Tier 1
12 is the end user. If you look at the two servers that are
13 represented in the center of the diagram, one server is
14 located at DEC, the other is located, physically, at DNR,
15 so they are in two physically separate locations, and this
16 demonstrates a distributed system that then goes out and
17 looks at the third tier, which consists of, for instance,
18 the Alaska State Geographic Data Clearinghouse, U.S.G.S.'
19 Alaska Data Clearinghouse, it goes out and looks at
20 biological data, bibliographic data at a variety of
21 libraries and we also tap into a variety of Web pages.

22 So to summarize, the system was designed -- was
23 phased both geographically and in scope. In phase one, we
24 looked at who has what data and where it's located and
25 phase one was the prototyping phase and it focused on the

00205

1 Kenai River watershed. And phase two, which was the
2 implementation phase, we looked at on line discovery and
3 access to data and information. We expanded our scope to
4 the Cook Inlet watershed and at the completion of phase two
5 we've now expanded it to a statewide system. Phase three
6 consists of analytical tools and that was not within the
7 scope of the EVOS-funded component of this project.

8 This is the CIIMMS home page and we will focus on
9 three primary features of CIIMMS, the search, browse and
10 contribute functions. And Russell will go from here and
11 talk about the capabilities of those functions.

12 MR. KUNIBE: Our search is probably the heart of
13 the system and there's different types of searches, there's
14 just a simple -- you can just type in a simple term or
15 phrase right on the front page to do a quick search. And
16 it'll search all the different databases that we're
17 searching. And advance search -- the advance search button
18 there takes you to an advance search page and we have a
19 project search. This is our advanced search page, we're
20 allowing for three terms and with Boolean operators and we
21 can do fielded search, we can pick out full text, the
22 title. I think the topics are basic, like the title, the
23 subject, key words and the author originator.

24 Three terms, we have a map tool, which if you go to
25 the site right now it's not working. These are drop downs

00206

1 for using predefined areas, and this is to give you a
2 geographic scope of the project. We'll show you a little
3 bit more of that later. This gadget here works with the
4 map tool and pulls back place names for a diagram on a map.

5
6 MS. FRIES: The place names are especially
7 important in terms of accessing bibliograph information.
8 Those can then be sent to libraries so that you're looking
9 at -- you're able to look at a variety of types of
10 information sources, which is somewhat unusual.

11 MR. KUNIBE: Yeah, we -- the bounding coordinates
12 work with, like, our geographic server, such as the Alaska
13 Geospatial Data Clearinghouse and that will define a search
14 area, so this is the map they search. It's a map of the
15 state of Alaska, you can use the zoom in feature to zoom in
16 to different areas. As you zoom in it automatically adds
17 more detail. You can use the drag box for coordinates to
18 help you define your bounding coordinates for your search
19 area. We're up in the Fairbanks area. And then it'll ask
20 if you want to pass those coordinates to the search page or
21 the data entry page. And when you say okay, it also will
22 look at -- in this case it didn't find any place name
23 because we're kind of out in the middle of nowhere. And
24 it'll pass the coordinates into your coordinates on your
25 search page and will pass in place names. The place names

00207

1 are sent to servers that don't use bounding coordinates, so
2 they'll be -- or a list of place names will be worked
3 together and then ended with your search terms and then
4 sent to, like the Alaska Resource Library or the Alaska
5 State Library. I think one other data source that we're
6 going to add this spring will be the library at the
7 University of Alaska-Fairbanks. It's a matter of them
8 getting their server on line.

9 The browse is kind of a way to do a search when you
10 don't really know what you're looking for, so you can kind
11 of click through the topics. This is -- you're going
12 faster than I am. MS. FRIES: Sorry.

13 MR. KUNIBE: Okay. The browse would be you pick a
14 broad topic, then you pick a more specific topic, like, in
15 this case, we go to water and then water quality and water
16 quality monitoring and then they did a search and the
17 search comes back -- it does basically the same search that
18 our search page does, except they've got some pre-defined
19 terms. We played around with the idea of exposing what
20 that pre-defined search is and making it editable for the
21 user to go ahead and change that browse search.

22 And this would be your results page. We have the
23 local database is a CIIMMS Project database, that's part of
24 the centralized portion of our project and that allows
25 people to enter their own projects or their own data

00208

1 directly into our server. The ARLIS is the Alaska Resource
2 Library, it includes all the Anchorage municipal libraries
3 and the University of Alaska-Anchorage. The Alaska State
4 Library is all the Juneau libraries. The ASGDC/AGD are the
5 Geospatial Clearinghouses and the Municipality of Anchorage
6 also has a spatial data clearinghouse.

7 The Web harvest, where we feed harvester starting
8 points, starting Websites and then follow the links on each
9 one of those Websites to collect different Web pages. And
10 then the results -- this would be the results from the Web
11 harvest, it brings back the title, the author and then, I
12 think, we're using like the first 500 characters of the
13 body of the page to give a description. And then if you
14 click on the title you'll link directly to the page in
15 question. That was a Fish and Game page.

16 The project results is part of our data entry for
17 people to enter information about their project. What we
18 found was -- this was kind of a difficult thing to ask
19 people to enter data, so we wanted to keep to our main
20 focus of who has what data where and then we came up with
21 this abbreviated list of information that we asked people
22 to enter about their project. You can always ask for more
23 information, but the more information you ask for, the
24 harder it becomes for people to provide you with the
25 information and less likely they're going to take the time

00209

1 to do it. So we just asked for the title, the contact,
2 phone, e-mail, who the lead agency is, description and some
3 key words and things like that to search against, abstract
4 and purpose.

5 MS. FRIES: But the other thing that should be
6 noted, the way these categories of information we requested
7 evolved, it built from the Federal Geographic Data
8 Committee standard, so that it conforms to a commonly used
9 standard, which makes it searchable and retrievable.

10 MR. KUNIBE: The contribute section. Now, this
11 would be the key to part of that maintainability, is having
12 people contribute their own information. The contribute
13 log on -- it has a log on so if you enter your information
14 you're the owner of that information and you're the only
15 person that can edit it. A person can add themselves as a
16 user, so you make up a user name and you make up a
17 password. And we do a one-time collection of some basic
18 information. And we also use this information later on
19 when you're adding records, so we reenter that for you.
20 This is the data entry form. The dataset title, each one
21 of those things that look like a link are linked to the
22 help topics to tell you about -- well, we want the title of
23 your project or the title of your dataset and who created
24 it.

25 And this is a project record data entry form. In

00210

1 our data entry forms we also use the drop down menus or the
2 map tools to help you select your geographic area. Using
3 the drop down we would have predefined areas of the state,
4 we've got Alaska statewide, we've got boroughs, I think we
5 go hydrologic unit subregions, coastal districts, Native
6 corporations, national wildlife refuges and the bottom one
7 that's highlighted is the Exxon Valdez oil spill areas.
8 And then if you select on the Exxon Valdez oil spill areas,
9 you got just the general areas, Prince William Sound, the
10 entire spill area, Cook Inlet, the Alaska Peninsula and
11 then combinations of those. And then you can also use your
12 map tool for the data entry as well.

13 The next thing we're going to talk about is what we
14 accomplished over the last couple of year with the EVOS
15 funding. In the area of technical accomplishments we were
16 able to complete a distributed search which was uniquely
17 able to search across different profiles, meaning we can
18 search libraries, as well as geospatial clearinghouses, as
19 well as Web pages with one search. And the FGDC
20 Clearinghouse concept is we're not just searching
21 geospatial clearinghouses, we're searching the libraries
22 and other areas. We have a way for people to contribute
23 information about their projects or data. The Web crawl,
24 we collect these Web pages for indexing and targeted
25 searching. It's a multi-agency system. And the map server

00211

1 that we're using, we using the open GIS protocol and
2 connectors, so that we can expand that later to distributed
3 mapping.

4 Data accomplishments, in the project database we
5 have all the EVOS projects, we have all the DEC 319 funded
6 projects from 1990 to the present. There's a DNR Well Log
7 database that we placed on line. We had ARLIS catalog
8 specific Cook Inlet studies as part of this project.
9 There's also a UAA macro-invertebrate educational database
10 that we've been working with, ENRI, to place on line. We
11 assisted Fish and Game with their anadromous fish stream
12 habitat guides and the 309 Kenai River database, to
13 complete those -- documenting those. We're working on
14 connecting into the EPA STORET database as part of our
15 basic search. And we have some scan documents from -- we
16 worked on scanning documents and then providing a project
17 record for the documents for the Division of Governmental
18 Coordination, U.S. Forest Service, Fish and Wildlife
19 Service and CIRCAC.

20 MS. FRIES: The other thing, we have scanned all of
21 the EVOS final reports that are completed and have tied
22 them to the EVOS project descriptions within CIIMMS, so
23 that you -- if you find an EVOS project via CIIMMS, there's
24 a link to the scanned final reports.

25 MR. KUNIBE: Data and information sources. We're

00212

1 searching existing clearinghouses, the AGDC, that's the
2 Alaska Geographic Data Clearinghouse, the Alaska State
3 Geographic Data Clearinghouse, and the Municipality of
4 Anchorage, the libraries, Alaska Resource libraries and
5 Anchorage and Juneau libraries and the University of
6 Alaska-Fairbanks. And the Fairbanks libraries, we are
7 looking at that for the spring of next year. They're
8 working on changing their server software, so when they
9 complete that we'll be able to search their database as
10 well.

11 We have our CIIMMS on line data, which is the
12 projects and data sources and we have selected Web pages
13 that we can search, which we harvest and index. And our
14 plan is to have a more user directed and we're working on a
15 way for users to add starting points for the harvester, so
16 they would submit a link, basically. Other databases that
17 we're working on connecting to are the STORET, which is
18 storage and retrieval, the EPA water quality database and
19 the ADEC facilities database. And we're working with ADF&G
20 for this map access to the anadromous waters catalog.

21 Accomplishments and interagency cooperation, we're
22 working with the Alaska State Geographic Data Clearinghouse
23 on some data entry pages for them and also for the
24 cataloging of information at that clearinghouse.
25 Connection to a variety of data servers around the state.

00213

1 We're a distributed system housed at DEC and DNR and it
2 could be a catalyst for data deliver via the Web or a
3 catalyst for map server implementation. These were some of
4 the participants we worked with over the course of the
5 project.

6 And then, last, we're going to talk about where
7 CIIMMS is going. We're looking at expanding it to the
8 Prince William Sound Copper River Delta, the next area, the
9 northern/southeast Alaska and the interior Alaska around
10 Fairbanks. And we've started with some of this, I went up
11 to Fairbanks and talked to the Bonanza Creek Long-Term
12 Ecological Research, they had a little data symposium on
13 how to take their research data and make it more available
14 to agencies that are actually doing management. And we are
15 looking at ways to collect their data, as well as the
16 Arctic Long-Term Ecological research data. I think in
17 Southeast Alaska we started discussions with the
18 Sustainable Salmon Fund about doing the same type of thing
19 that we're doing with our 319 funding and making it a
20 requirement to enter their projects.

21 MS. FRIES: And we've also talked with the boards
22 of the Prince William Sound Science Center and the Oil
23 Spill Recovery Institute.

24 MR. KUNIBE: CIIMMS use trends. This was -- we
25 actually kind of announced that we were going live

00214

1 somewhere around August of this year and that's what kind
2 of got a little steeper.

3 MS. FRIES: Yeah, an analysis of the trends
4 indicate that there's approximately 66 hits per day that
5 are occurring, which has increased quite a bit.

6 MR. KUNIBE: What CIIMMS does. It helps you find
7 answers to questions by providing information relative to a
8 query based on search terms selected. It helps focus
9 searches and increase relevance of responses, provides a
10 structure for cooperatively sharing resource information,
11 provides tools to access and retrieve information from
12 disparate sources and uses and relies on standards and also
13 works in spite of the lack of standards.

14 And what it doesn't do, it won't think for you, it
15 doesn't set the standards, it doesn't survive unattended,
16 it doesn't do any of the analysis of your data, it doesn't
17 synthesize your data for you. What it can do is provide a
18 cooperative foundation for information and data sharing,
19 become more robust and useful as its use increases and
20 provide a foundation for future development, especially
21 when we start looking at the application, this on line
22 analysis, which really starts becoming more application
23 specific so the on line analysis tool would serve a more
24 specific audience than what we built CIIMMS to do.

25 Where you can find it, there's our URL. There's

00215

1 also a link from the DNR Website, from the DEC hot topics
2 page, from the State of Alaska hot topics page, from the
3 ASGDC page.

4 MS. McCAMMON: Linked to the EVOS page, too.

5 MR. KUNIBE: Link to the EVOS.

6 MS. FRIES: And the EVOS we done just (away from
7 microphone)

8 MR. KUNIBE: Oh, Carol, that should have been the
9 first one.

10 (Laughter)

11 MS. FRIES: It should have been first, I'm sorry.

12 MR. RUE: Always take us for granted.

13 MS. FRIES: Actually it should have been the last
14 one so it was right in front of you. So does anyone have
15 any questions or suggestions?

16 MR. KUNIBE: Is anyone still awake?

17 MS. McCAMMON: Yeah, turn on the lights.

18 MR. RUE: I have a question.

19 CHAIRMAN GIBBONS: Mr. Rue.

20 MR. RUE: Yeah. Can you tell the nature of the
21 hits, can you tell if it's people actually using it or
22 people have said CIIMMS, sounds like some cool pants or
23 something, I'm going to check them out. Or waders, they
24 think it's the wader store.

25 MR. BALSIGER: Where do you buy your clothes?

00216

1 MR. KUNIBE: No, we just put a basic hit counter on
2 it, just to kind of get an idea of where it was going. We
3 get comments about the search page especially, people use
4 the search -- like the search.

5 MS. FRIES: We've also gotten comments from an
6 organization that is working -- there's a group of
7 organizations working in South Florida with the water
8 management area of the Everglades that have contacted the
9 contractor that we work with and us about begging,
10 borrowing and stealing components to implement something
11 similar there. And NOAA has also contacted us about a
12 similar effort that they're undertaking that they would
13 like to beg, borrow and steal. And that was quite
14 interesting, I'm pleased to see that.

15 CHAIRMAN GIBBONS: Any more questions.
16 (No audible response)

17 MS. FRIES: Great, thank you.

18 CHAIRMAN GIBBONS: Well, thanks Carol and Russell,
19 good presentation.

20 MR. KUNIBE: Thank you.

21 MS. FRIES: Thank you.

22 CHAIRMAN GIBBONS: Well, that's the last topic
23 unless anybody has anything else for today.

24 MS. McCAMMON: No other than you.....

25 MR. RUE: I move that we recess.

00217

1 MS. McCAMMON:are all invited to our open
2 house here and there's food and drink out in the main part
3 of the office, so stick around for a while.

4 CHAIRMAN GIBBONS: Anybody move to adjourn?

5 MR. RUE: I'll move to recess.

6 (Laughter)

7 CHAIRMAN GIBBONS: No, no, the wrong term.

8 MR. BALSIGER: Move to adjourn.

9 MR. TILLERY: Second.

10 CHAIRMAN GIBBONS: Second. All in favor say aye.

11 IN UNISON: Aye.

12 CHAIRMAN GIBBONS: Opposed?

13 (No opposing responses)

14 CHAIRMAN GIBBONS: We're adjourned.

15 (Off record - 5:08 p.m.)

16 (END OF PROCEEDINGS)

